

NEW PROSPERITY GOLD COPPER MINE PROJECT  
**FEDERAL REVIEW PANEL**  
**CANADIAN ENVIRONMENTAL ASSESSMENT AGENCY**  
AGENCE CANADIENNE D'ÉVALUATION ENVIRONNEMENTALE

**HEARING HELD AT**  
CARIBOO MEMORIAL RECREATION COMPLEX  
GIBRALTAR ROOM,  
525 Proctor Street  
Williams Lake, British Columbia

**Monday, July 29, 2013**

Volume 7

**FEDERAL REVIEW PANEL**

Bill Ross

Ron Smyth

George Kupfer

International Reporting Inc.

41-5450 Canotek Road,

Ottawa, Ontario

K1J 9G2

[www.irri.net](http://www.irri.net)

1-800-899-0006

(ii)

**TABLE OF CONTENTS / TABLE DES MATIERES**

	<b>PAGE</b>
Opening remarks by Panel Chair	4
Presentation by Taseko	8
Presentation by Michael Hagen	108
Questions by Mr. Pearse	124
Questions by Greg Smyth	143
Questions by Scott Jones	144
Questions by Dylan MacGregor	145
Questions by Scott Jones	147
Questions by Chairperson Ross	152
Presentation by Dr. Emma Watson	153
Presentation by Manon Lalonde	161
Questions by Scott Jones	170
Questions by Don McManus	173
Questions by Mr. Kupfer	175
Questions by Mr. Smyth	176
Questions by Chairperson Ross	176
Presentation by Dr. Rina Freed	183
Questions by Mr. MacGregor	210
Questions by Mr. Kupfer	214
Questions by Mr. Smyth	215
Questions by Chairperson Ross	218
Presentation by James Kuipers	223

(ii)

**TABLE OF CONTENTS / TABLE DES MATIERES (Continued)**

	<b>PAGE</b>
Questions by Mr. McManus	245
Questions by Mr. Kupfer	254
Presentation by David Williams	256
Questions by Mr. Kupfer	278
Presentation by Brian Toth	278
Questions by Mr. Kupfer	292
Questions by Mr. Smyth	293

1 Williams Lake, British Columbia

2 --- Upon commencing at 9:11 a.m.

3 --- Opening ceremonies.

4 CHAIRPERSON ROSS: Good

5 morning, everyone. First, a thank you to the

6 Shuswap and Tsilhqot'in for the opening

7 ceremonies.

8 Welcome to the fourth day of

9 the topic-specific sessions of the public hearing

10 regarding Taseko Mines Proposed New Prosperity

11 Gold-Copper Mine Project.

12 My name is Bill Ross. On my

13 right is George Kupfer, on my left is Ron Smyth.

14 The Secretariat staff generally

15 are over in this direction, all over in this

16 direction. They are identified by name tags and

17 will be able to assist you with any logistic or

18 process-related questions you might have.

19 I need to recap a few

20 housekeeping items again.

21 Please use the south entrance

22 on Seventh Avenue to the Gibraltar room as the

23 main access to the hearing. All other doors for

24 emergencies -- other doors, the doors over here --

25 are for emergencies and access to washrooms only.

1 I guess that could be  
2 classified as an emergency too. I've got to vary  
3 this for some fun.

4 We need to keep all doorways  
5 clear to comply with fire code regulations. In  
6 the event of an emergency, some lights up above me  
7 will flash or I will make an announcement over the  
8 microphone. In the event of a fire, please vacate  
9 the building in a calm manner. In the event of a  
10 medical emergency, let Secretariat and complex  
11 staff know immediately. First aid supplies and  
12 attendants are available throughout the complex.

13 The purpose of the hearing --  
14 the overall purpose of the topic-specific hearing  
15 sessions is to provide an opportunity for experts  
16 possessing specialized knowledge or expertise to  
17 present to the Panel the results of their  
18 technical review of the potential effects of the  
19 proposed project.

20 The sessions are also designed  
21 to allow an opportunity to assess the technical  
22 aspects of the project and to provide  
23 opportunities for Taseko to explain the project  
24 and to respond to concerns and questions raised by  
25 other participants.

1 I would like to stress that  
2 although anyone may attend the topic-specific  
3 hearing sessions and observe the proceedings,  
4 given the purpose of the sessions only those  
5 presenting a technical review of the project and  
6 who have registered in advance as an interested  
7 party may present or ask questions at these  
8 sessions.

9 Today is day one of a two-day  
10 session on the aquatic environment. The agenda  
11 with the list of presenters is available to be  
12 picked up at the entrance, if you wish. Briefly,  
13 the presents we have today are Taseko, Environment  
14 Canada, David Williams on behalf of Friends of  
15 Nemiah Valley, and the Upper Fraser Fisheries  
16 Conversation Alliance.

17 The agenda may change somewhat  
18 depending on the length of time it takes for  
19 questioning. We ask that participants have some  
20 flexibility because of that.

21 Once we've heard from all the  
22 presenters, that will be by tomorrow, we will  
23 provide an opportunity for Taseko to respond to  
24 any of the information presented, if it wishes to  
25 do so.

1                   With respect to scheduling.

2                   With respect to scheduling, we plan to sit  
3                   approximately noon with an hour for lunch, and a  
4                   break sometime in the middle of the morning.

5                   We will resume at approximately  
6                   1 p.m. and continue until about 5 p.m. with breaks  
7                   as necessary. We will resume tomorrow at nine  
8                   a.m.

9                   Now, let me look ahead a little  
10                  bit. On Thursday, which is the last of the topic  
11                  specific sessions, we have somewhat more  
12                  presenters than can reasonably be accommodated.  
13                  So we are taking three measures to try to deal  
14                  with that. We're trying to make some adjustment  
15                  to the schedule. We will be starting at 8 o'clock  
16                  on Thursday morning.

17                  I know that at the end of  
18                  Thursday our goal is to finish at 5 o'clock so  
19                  that people can -- people who are leaving can get  
20                  home for the long weekend, and those who are  
21                  presenting on Thursday, we may squeeze you a  
22                  little bit for time.

23                  So if there is anybody in the  
24                  room who is presenting on Thursday and who has  
25                  asked for an hour to present, figure out a plan B

1           that involves presenting in a shorter period of  
2           time.

3                         Lastly, I now ask you turn off  
4           the ringers on your cell phones and pagers and  
5           remember that filming and photography are allowed  
6           only with my prior approval.

7                         Are there any questions about  
8           the -- at this time? There haven't been so far so  
9           I wouldn't expect that.

10                        In that case, I think we will  
11           proceed to the presentation by Taseko.

12           PRESENTATION BY TASEKO:

13                        MR. GUSTAFSON: Just while the  
14           Panel is getting settled, I'll perhaps just  
15           briefly let you know who we have with us here  
16           today.

17                        I won't re-introduce Mr.  
18           McManus or Mr. Jones that you've heard from  
19           already. With them at the presentation table is  
20           Mr. Greg Smyth, project manager at Knight Piesold.  
21           I introduced him briefly previously but you may  
22           recall that he has 15 years of experience in mine  
23           operation, design and environmental assessment.

24                        With Taseko today, sitting over  
25           at the Taseko table are a number of consultants



1           who will be available to answer questions  
2           following the presentation.

3                               We have Mr. Ryan Whitehouse,  
4           registered professional biologist with Triton. He  
5           has more than 10 years' experience dealing with  
6           water quality, fisheries and multi-disciplinary  
7           aquatic impact assessments.

8                               With him also from Triton  
9           Consultants who is sitting at the back table on  
10          the far right is Mr. Michael Whelan, a registered  
11          professional biologist with more than 30 years of  
12          experience in fish, fish habitat and environmental  
13          affects assessment.

14                              And finally at the back table  
15          is Mr. Dylan McGregor, principal geochemist with  
16          SRK Consulting. He is a registered professional  
17          geo-scientist, Masters of applied science in  
18          geochemical engineering and 15 years of  
19          experience. He advised Taseko with respect to the  
20          metal leaching and ARD characterization and  
21          development on the on-site quality predictions.

22                              And as well, at the table to my  
23          right is Greg Yelland, chief engineer of Taseko  
24          Mines, and Cheryl Williston, who is the  
25          environmental coordinator of Taseko.

1 I introduced Mr. Yelland  
2 previous, but he has over 30 years of experience  
3 in mine design, economics and operations and Ms.  
4 Williston has seven years of experience in fish  
5 wildlife, habitat, inventory and management, and  
6 has been in the Williams Lake office for three  
7 years.

8 CHAIRPERSON ROSS: Thank you,  
9 Mr. Gustafson. Mr. McManus?

10 MR. MCMANUS: Good morning, and  
11 welcome to day seven.

12 Just before we start with this  
13 presentation, I wanted to bring up a few points  
14 that I think are important about the reliability  
15 of the information that Taseko is presenting.

16 Some questions have been asked  
17 of me through the day at the break and how we deal  
18 with that.

19 Over the next couple of days  
20 there's going to be lots of discussion about  
21 assumptions and models and simulations, estimates,  
22 and projections.

23 I need to be clear that Taseko  
24 has not asked their consultants to take a position  
25 on the merits of the project itself. Rather,

1 we've hired professional -- best-in-class  
2 professional organizations to apply their  
3 unbiased expertise to the specific aspect that  
4 they are advising us on, whether they are  
5 providing designs or analysis or projections. So  
6 I wanted to be clear on that.

7 Nor have we asked them to speak  
8 to the significance of any of the effects. We  
9 believe that that is your job and our job is  
10 Taseko, and the EIS is a Taseko document, not a  
11 consultant's document.

12 Second point. Similarly, with  
13 our employees we've hired experts and  
14 professionals internally and we do not ask them to  
15 do or say anything which would compromise their  
16 positions as experts and professionals. And if  
17 they perceive that something that they are being  
18 asked -- does that, they are free to say no, and  
19 not to do so.

20 Third. It's in the best  
21 interest -- this seems to be getting lost in this.  
22 It's in the best interest of the company to  
23 present a project that we believe in and that they  
24 believe will be successful. It doesn't make any  
25 sense to put forward something that we think will

1 fail, so we need to put forward our best estimate  
2 of what we think will happen.

3 When we do reach the operating  
4 phase, our performance -- actually through all  
5 phases, our performance in meeting the commitments  
6 raised through permitting are closely monitored  
7 and if the company isn't meeting those  
8 commitments, the regulators have the authority to  
9 enforce the measures to make those commitments  
10 occur, up to and including pulling our permits  
11 which would stop the mine and shut us down.

12 So this isn't something we're  
13 doing lightly. We intend to work with First  
14 Nations communities, regulators, through all  
15 faces, permitting construction, operations and  
16 closure to meet those commitments.

17 Just as we listen to the  
18 debates that go on here in the next three or four  
19 days, I thought it important to say that.

20 With that, I would like to hand  
21 the presentation over to Mr. Greg Smyth.

22 MR. GREG SMYTH: Thanks, John.  
23 Good morning.

24 So I will be making a short  
25 presentation on essentially the summary of water

1 quality and how it's presented for the New  
2 Prosperity project, sort of a high level summary  
3 of some of the conclusions that were put forward  
4 in the EIS.

5 So there will be -- as we're  
6 doing on a number of these presentations, key  
7 points that we'll cover in the presentation,  
8 essentially that this is a common practice. Mines  
9 exist close to water bodies and lakes within B.C.  
10 and elsewhere. The design for the New Prosperity  
11 project is out there to protect water quality.  
12 With the design of the New Prosperity project,  
13 Fish Lake is preserved and protected, and through  
14 the conclusions of the EIS that there are no  
15 significant adverse environmental effects with  
16 respect to water quality.

17 As you saw in some of the  
18 slides last week, there are a number of projects  
19 within B.C. and elsewhere, where mines have been  
20 constructed and operated successfully close to  
21 water bodies, Endako mine in central British  
22 Columbia, Huckleberry mine here, tailings facility  
23 in open pit and waste rock, also in central  
24 British Columbia in the -- close to the Nachatko  
25 (ph) Reservoir, Mount Polley mine here in the

1 Cariboo, with Blue Check Polley Lake (ph) as well  
2 as Quesnel Lake in close proximity to the mine.

3 And a rather dramatic example  
4 of the Diavik mine in Northwest Territories where  
5 pits are excavated right in the centre of the lake  
6 with waste rock here in the centre of the screen.

7 Finally, the Taseko Gibraltar  
8 mine here just north of Williams Lake, tailings  
9 facility at the top of the screen, open pit and  
10 waste rock here in the centre, and Coulson like  
11 here off to the side and Fraser River is off to  
12 the screen here.

13 Then I'll show a couple of  
14 photos thereafter actually looking down from the  
15 waste rock dumps towards the lake here.

16 So here are the waste rock  
17 dumps that are at the Gibraltar mine looking down  
18 at the lake and that general proximity that exists  
19 today, and even a further kind of blowup shot on  
20 the other side of the lake, houses and properties  
21 that are on the lake looking back at the mine.

22 So here's a map that's been  
23 seen a number of times over the hearings here, and  
24 of course throughout the EIS. It's just meant to  
25 really kind of put the project in context. The

1 blue shaded area is the Fish Creek and Fish Lake  
2 Valley. That's a tributary of the Taseko River  
3 here that flows out of the Taseko Lake. Beece  
4 Creek is a tributary of the Taseko River south of  
5 the Fish Creek Valley. Then there's Little Onion  
6 Lake and Big Onion Lake here as well. You can see  
7 the reaches identified for Fish Creek, Fish Lake  
8 and then the various features of the mine, the  
9 pit, stockpiles, plant site and tailings storage  
10 facility.

11 The intent here is really to  
12 say that the mine design has been put forward to  
13 protect the local area, which is Fish Lake-Fish  
14 Creek stream and lower Fish Creek but as well the  
15 broader environment outside Wasp Lake, Onion Lakes  
16 and the Taseko River and on from there, obviously  
17 Chilcot-Chilcotin and Fraser river.

18 So I'm going to talk about  
19 water management in a moment and we use terms like  
20 contact water, no contact water a lot through the  
21 EIS, and just to try and put context for contact  
22 water.

23 Essentially, it's any water  
24 that touches any kind of excavated materials at  
25 the site, whether it be tailings ground up, waste

1 rock or other materials that are excavated  
2 throughout the site.

3 This is actually a picture of  
4 the tailings pond at Gibraltar where fish have  
5 been placed within the tailings facility. And  
6 that's the look and the feel of the water. Of  
7 course it doesn't don't tell you anything about --  
8 the chemistry is evaluated as well, but  
9 essentially it's clear looking water within the  
10 tailings facility.

11 From a context of water  
12 management. For mine design essentially what  
13 we're doing is looking to segregate contact water  
14 from non-contact water. And as you can see here,  
15 the main areas for contact water in the pit and  
16 stockpiles, the plant site and then the tailings  
17 storage facility.

18 Then what we try to do in the  
19 mine design really is say, okay, well, these are  
20 within the Fish Creek catchment. What areas can  
21 we keep segregated from that so we can  
22 beneficially use that non-contact water?

23 For the New Prosperity project,  
24 essentially ditches were placed around the  
25 facilities to collect contact water and also



1 divert non-contact water. There are some  
2 remaining sections of the Fish Lake catchment that  
3 naturally drains down to Fish Lake, and then other  
4 areas to the south where that is captured and then  
5 directed to the inlets of Fish Lake as well.

6 So essentially there's sort of  
7 a segregation of contact/non-contact water, use as  
8 many non-contact water as possible for the ongoing  
9 functioning of the lake.

10 Just some pictures of what  
11 we're talking about when we talk about ditches to  
12 keep contact and non-contact water segregated.  
13 It's not too complicated. There done all over the  
14 place and this is just an example of a collection  
15 diversion ditch at the Gibraltar mine.

16 One of the other key aspects  
17 for water management for our modern day mine --  
18 and actually hasn't been the case for many decades  
19 -- is actually the re-use of water, and we heard  
20 about this last week.

21 Re-using water is essentially  
22 the best practice where you minimize the amount of  
23 extraction of new non-contact water and you try  
24 and re-use the water as much as possible  
25 throughout the multi-year mining process.

1                   This is just a picture of the  
2                   re-claimed barge at Gibraltar. It's a large barge  
3                   where it's pumping every day -- every minute of  
4                   every day in order to feed the -- in the mill to  
5                   process the ore and extract the mineral.

6                   So after primary water  
7                   management, what other aspects of the design are  
8                   there to protect water quality? And one of the  
9                   key ones that has been recognized through the  
10                  advancement of understanding for metal leaching  
11                  acid rock drainage is segregation of materials.

12                  So at the New Prosperity  
13                  project this has been identified and utilized as  
14                  part of the project design essentially identifying  
15                  and segregating potentially acid generating waste  
16                  rock and overburden and then transporting and  
17                  placing it within the tailings facility, so that  
18                  in the long term it can be sub-aqueous and can  
19                  prevent the onset of acid rock drainage.

20                  Third aspect of the design for  
21                  the New Prosperity project is the design of the  
22                  tailings storage facility. We're placing tailings  
23                  in there, placing contact water, we're placing  
24                  potentially acid generating materials that have  
25                  been sub-aqueous environment.

1                   How do we protect the receiving  
2 environment through that design? We heard a bit  
3 about this last week with respect to the basin  
4 materials within the tailings facility. This is  
5 just a map of the thickness of the glacial till  
6 naturally throughout the entire Fish Creek Valley  
7 and overlaying that is essentially the outline of  
8 the ultimate tailings facility.

9                   This material overburden over  
10 top of the pit as well which is here would be used  
11 as the design for the core of the dam so we  
12 essentially put low permeability materials in the  
13 base as well as in all the dams and minimized the  
14 amount of sub surface flow out of the facility,  
15 thereby protecting long-term water quality in the  
16 preceding environment.

17                   These are a couple of examples  
18 of projects where this is actually being done.  
19 Mount Milligan mine in central British Columbia,  
20 it's an earth-filled, rock-filled dam with low  
21 performable core. Here you can see some  
22 technicians essentially doing tests on it. It's  
23 placed in thicknesses anywhere from 300  
24 millimetres to a metre thick, and then is  
25 compacted with equipment, then to the design

1 specification to minimize the amount of seepage  
2 through the embankment.

3 This is another example of the  
4 Fort Knox mine in Alaska, another earth-filled,  
5 rock-filled structure designed in a similar way.

6 A third example in South  
7 America, the Alanbura Project (ph) where you can  
8 actually see the zones of the earth rock-filled  
9 embankment, one being a low permeable core.

10 So once the minimize the sub  
11 surface flow out of the facility, what do you do  
12 with the flow that does go? So really it comes  
13 down to collecting that and seepage collection  
14 ponds, primarily.

15 This is actually a picture of  
16 the Gibraltar seepage collection pond with  
17 embankment near the top of the screen here, and  
18 essentially seepage collection pond collects any  
19 contact water off the surface as well as anything  
20 that throws through the drainage systems and  
21 underlayer systems of the embankment.

22 Then you can see a pump house  
23 here off to the right. Water is pumped back into  
24 the tailings facility to be beneficially used  
25 within the process.

1                   So next layer. What do we do?  
2                   We're managing water on-site, contact/non-contact.  
3                   We're segregating materials for long-term  
4                   sub-aqueous disposal to prevent (muffled) on set.  
5                   We're designing a tailings facility to minimize  
6                   sub-surface flow throughout the site. Now we need  
7                   to do some monitoring and adapt a management.

8                   So monitoring is something that  
9                   is done at all mines really, surface water,  
10                  groundwater, and various other things. This is  
11                  just examples of stream sampling in the Gibraltar  
12                  project. This is done on a regular basis and it's  
13                  mandated under the Ministry of Environment for  
14                  mining projects in B.C.

15                  Samples of air quality is  
16                  sampling essentially at the site, and groundwater  
17                  sampling. This is a key one, of course, for  
18                  tailings facilities as well as any other  
19                  facilities within the mining project where you  
20                  take regular samples -- summer, fall, winter,  
21                  spring, or other periods throughout the year.

22                  So a little bit about adaptive  
23                  management. It's been discussed throughout the  
24                  EIS and just -- this is just a graphic, really,  
25                  that's been put forward to try and understand what

1           it actually means in the context of a mine.

2                         So this is just over time  
3           you've got a percent of a guideline concentration  
4           on the Y axis. And you're moving along with your  
5           monitoring program and if you see some sort of a  
6           blip above what you expect, you can actually  
7           increase the monitoring frequency to make sure  
8           it's not just one off, and if it continues to  
9           increase then what do you do? You actually start  
10          investigating what's going on, you understand why  
11          it's actually increasing. Are you into a new area  
12          of mining that you didn't expect and you are  
13          getting new materials and that sort of thing.

14                        Once you do your investigation  
15          you can apply mitigation and evaluate that. Once  
16          you understand it, you can devise a mitigation  
17          plan, implement those that have been thought  
18          through before and then evaluate what's going on,  
19          drops down.

20                        If it's not enough, it's not  
21          quite below the expectation because you haven't --  
22          the mitigations need to be more robust, you apply  
23          a device and apply a secondary mitigation if  
24          required. If it comes down below the expectation  
25          then you are kind of back to the typical frequency

1 of monitoring.

2 This is just sort of a another  
3 way of presenting adaptive management is really --  
4 we predict as much as we can and then we actually  
5 devise plans to actually implement later on if  
6 it's not exactly what you think.

7 So following monitoring  
8 adaptive management, we kind of get back to the  
9 whole design to protect water quality. And that's  
10 really thinking about closure.

11 And in this New Prosperity  
12 project, it was thought through and said okay, we  
13 went we want to make sure we're extracting a  
14 mineral for a 20-year period, but we want make  
15 sure the materials that we are placing on surface  
16 are going to work in the long term.

17 So, essentially, materials are  
18 being excavated out of here and there's some  
19 materials being placed up here, the non-PAG waste  
20 rock that's re-claimed, and then the tailings and  
21 essentially acid generating materials were placed  
22 in the tailings facility, designed in an obscure  
23 manner, sub-aqueous environment -- long onset of  
24 ARD, and then excess water flows down, fills the  
25 pit, fills pit walls, essentially gets covered so

1           it prevents the onset of ARD from the majority of  
2           pit walls, then flows out to Fish Creek. So  
3           essentially there's near-term environmental  
4           protection but also broader-term environmental  
5           protection, long term.

6                         So the EIS really summarizes  
7           how determination of no significant adverse  
8           effects with respect to water quality derived.  
9           And considering that the Fish Lake area is  
10          relatively undisturbed, the duration of the  
11          effects are long term but site specific to the  
12          Fish Lake watershed.

13                        The frequently is continuous  
14          but gradual, allowing the application of adaptive  
15          management if required. And if required, given  
16          the very prudent water treatment methods  
17          available, the effects are considered reversible.

18                        As a result, a significant  
19          adverse effects to water quality is unlikely.  
20          These are the conclusions and rationale put  
21          forward in the EIS.

22                        So in conclusion, as a wrap-up  
23          to this short presentation, New Prosperity is a  
24          project in close proximity to water bodies, as you  
25          can see in other projects throughout B.C. The



1 mine design does protect water quality. Fish Lake  
2 is preserved and protected with this plan and the  
3 conclusions of the EIS are that there are no  
4 significant adverse environmental effects to water  
5 quality.

6 Then I'll pass it over to Scott  
7 Jones here who is going to present on fish and  
8 fish habitat I believe.

9 MR. JONES: Thanks, Greg.  
10 Morning.

11 The focus of my portion of the  
12 presentation here is the interaction of the  
13 project with fish and fish habitat. Couple of key  
14 points.

15 The re-design of the project  
16 doesn't result -- sorry, re-design of the project  
17 to preserve Fish Lake doesn't result in any  
18 changes to the effects on fish and fish habitat  
19 outside the watershed relative to the previous  
20 project, with the exception of the positive  
21 effects of the fish compensation elements that are  
22 proposed off-site.

23 As Greg mentioned, Fish Lake is  
24 preserved and protected addressing the previous  
25 concerns about the federal and provincial

1 government. And as a result, the EIS -- we've  
2 concluded no significant adversely affect on fish  
3 and fish habitat.

4 This graphic and the watershed,  
5 I think you are pretty familiar with that.

6 I just want to point out in  
7 review by the previous panel in 2010, there was no  
8 finding of any significant adversely effect  
9 outside the watershed and the re-design of the  
10 project to preserve and protect Fish Lake doesn't  
11 result in any increased or new adverse affects  
12 outside of the project, other than the effects  
13 obviously positive effects of the fish  
14 compensation elements.

15 I just want to talk about the  
16 mitigation built into the design here, and really  
17 we achieved three objectives. And the first was  
18 to relocate the tailings storage facility two  
19 kilometres upstream of the lake, and that achieves  
20 two things.

21 It provides enough space to  
22 monitor and mitigate control seepage and it  
23 maintains the maximum amount of spawning habitat  
24 upstream of Fish Lake.

25 Thirdly, we control the outflow

1 of Fish Lake and we circulate some of that water  
2 to the tributaries feeding Fish Lake to increase  
3 and maximize the available spawning habitat and  
4 maintain the level of Fish Lake.

5 This is just a slide that  
6 depicts the lakes in the Cariboo region. There's  
7 13,000 lakes, and you can see here that two little  
8 lakes right below Fish Lake -- that's Taseko  
9 lakes, and Fish Lake is just -- Fish Lake and  
10 Little Fish Lake are just north of that.

11 I just want to take a minute  
12 and characterize Fish Creek itself.

13 Basically it's broken up into  
14 lower, middle and upper Fish Creek. Lower Fish  
15 Creek is depicted by this little green section.  
16 It is separated from a Little Fish Creek by a set  
17 of impassable falls. And you can see, sort of --  
18 this is the falls right here in the foreground.

19 The flows in lower Fish Creek  
20 below the falls are seasonal. Here you can see  
21 flows during the freshet; then again in the same  
22 section later in the summer, it's dry.

23 Middle Fish Creek which is the  
24 -- from the outflow of Fish Lake to the falls, is  
25 a kind of a combination of meandering sections

1 separated by beaver dams and other sections that  
2 are relatively straight, ripples and runs. Again,  
3 here's another shot during the freshet and right  
4 at that same location later in the summer with the  
5 reduced flows.

6 This area right here, this is  
7 actually where the pit would be. And you can see  
8 the basalt bluff in the background and here's Fish  
9 Creek flowing left to right in the shot.

10 Upper Fisk Creek flows from the  
11 headwaters down the Little Fish Creek and then on  
12 down to Fish Lake, and again Upper Fish Creek kind  
13 of flows through in some meadows separated by  
14 beaver dams and in the low flow periods that water  
15 remains behind those beaver dams in deeper pools.

16 But, again, seasonal flows.  
17 Here's a shot of the Upper Fish Creek where it  
18 flows into Fish Lake, and upstream here's --  
19 again, flows during the freshet, and the same  
20 location flows later in the summer.

21 Now, upstream at Little Fish  
22 Lake there's about a thousand metres of defined  
23 channel but flows have only been recorded there in  
24 May and June. So this is the maximum footprint.  
25 This is 20 years out within the watershed.

1                   What this shows is fishbearing  
2                   stream habitat, and these gold sections that come  
3                   in on top of that, that's the spawning habitat at  
4                   baseline that's supporting Fish Lake. Obviously  
5                   the pit here removes that spawning habitat and the  
6                   reduction flows, you lose the spawning habitat  
7                   below that.

8                   But the relocation of the  
9                   tailings pond upstream allows us to retain all of  
10                  that baseline spawning habitat.

11                  The result is that with the  
12                  project in place, we end up with over 40 percent  
13                  of the baseline spawning habitat in place.

14                  In terms of the Fish Lake fish.  
15                  Current conditions. Considered over-populated.  
16                  Small fish -- and in is just a graphic of kind of  
17                  the demographic, if you will, of the fish within  
18                  that. It's roughly a third juveniles, a third  
19                  sub-adults and third adults. They range in size  
20                  from about three inches to 13 inches.

21                  Fish Lake is basically at  
22                  capacity, and the reason I say that is because of  
23                  the large population, the relatively uniform size  
24                  distribution within those age groups and the fish  
25                  health relative to other lakes in the area.

1                   So as a result of the project,  
2                   yes, we reduced the spawning habitat area but we  
3                   regulate the stream flows and we monitor and  
4                   manage that fish and habitat. And as a result,  
5                   we're projecting a stable but smaller population.  
6                   Think of it in terms of smaller number of fish in  
7                   the same habitat basically end up with more  
8                   habitat per fish on a per capita basis. So the  
9                   result from that should be larger fish.

10                   Obviously, if we don't see that  
11                   increase in fish that we anticipate, we certainly  
12                   have the ability through the adaptive management  
13                   plan to add additional spawning habitat in those  
14                   upstream tributaries.

15                   We've had lots of concerns  
16                   about the health of the fish that would be Fish  
17                   Lake, particularly with respect to metal uptake.  
18                   You've heard this about the fish in the Gibraltar  
19                   tailings pond. They don't show up particularly  
20                   well in this slide, but sitting in here a number  
21                   of fish.

22                   That's the fish in this  
23                   tailings pond. Fish that we've got in the  
24                   tailings pond have been up to five-and-a-half  
25                   pounds. That's fish out of the tailings pond, if

1           you wanted to see that scale that's over 20  
2           inches. Healthy looking fish.

3                         Trying to predict metal  
4           concentrations, metal accumulations in tissue.  
5           Pretty complex, complicated undertaking because  
6           trying to understand the nutrient balance in the  
7           lake. If you are incorporating water quality  
8           predictions, the sediment predictions, it's pretty  
9           complicated stuff. Lots of theories out there,  
10          lots of equations, lots of different ways of doing  
11          it, but they give a broad range of results.

12                        So kind of consider in terms of  
13          what better way to consider the potential for  
14          uptake in fish tissue than to look at Gibraltar.  
15          It's close, it's a perfect copper deposit. And  
16          this particular slide is in reference to a study  
17          they was done by Ministry Of Environment,  
18          published in the early nineties.

19                        And it was metal concentrations  
20          in fish tissue from uncontaminated B.C. lakes,  
21          which was basically an analysis of fish tissue  
22          from over 50 lakes in B.C.; lakes that were  
23          considered unimpacted by human population.

24                        So when we take the data from  
25          that study specific for rainbow trout and look at

1 the fish tissue data in that report, compared to  
2 the fish tissue data we have from Gibraltar, what  
3 we find is the fish in the Gibraltar, in the  
4 tailings pond, have 71 -- these are average  
5 values, average (muffled) values to average study  
6 values. Arsenic levels are 71 percent lower;  
7 cadmium 98 percent lower; copper somewhat higher,  
8 I guess not surprising, it's a copper mine.

9                   Lead values lower; mercury  
10 lower. All of the values are lower in these that  
11 you see in these uncontaminated lakes. I'm not  
12 trying to suggest that that is exactly what we  
13 would see in Fish Lake.

14                   What I think I am suggesting is  
15 that one would not expect to see significantly  
16 higher levels in a lake downstream of a tailings  
17 pond particularly when you've got the monitoring  
18 mitigation (muffled) that we've got in place.

19                   So while preserving Fish Lake,  
20 there are affects to other fish habitat, including  
21 the loss of Little Fish Lake, and, as a result, we  
22 propose a suite of fish compensation elements in  
23 the fish compensation plan.

24                   Boy, I would love to be able to  
25 say that all of these elements have developed in



1 full consultation with First Nations group and  
2 we're all on board. I can't say that. There  
3 hasn't any recent dialogue with First Nations,  
4 First Nations leadership about these elements.

5 But what we have been able to  
6 do is look at the information that's available in  
7 the public domain, particularly from Xeni Gwet'in,  
8 and looking at their -- the funding proposals,  
9 fish sustainability. Trying to get a sense of  
10 what is important to them.

11 So the elements in our plan,  
12 we've made best efforts -- at least in our view --  
13 make sure they are at least aligned with our  
14 understanding of First Nations' objectives and  
15 concerns.

16 And certainly as we stated in  
17 the EIS, we're more than open to continuing  
18 dialogue, having dialogue about these elements.

19 I just want to run through them  
20 very quickly. The salmon spawning habitat, which  
21 is the Taseko Lake off-channel habitat that shows  
22 up. It's right at the outflow of the Taseko Lake  
23 into the Taseko River.

24 These are just a couple of  
25 examples where off-channel habitat has been put

1           into place, been successful. This is the lower  
2           Columbia River in Washington state.

3                       Closer to home this is the  
4           Ashton Creek project, which is a run-a-river (ph)  
5           project. Spawning salmon here. This project  
6           apparently has been very successful. Spawning  
7           there.

8                       This is just a rendering of  
9           what we're proposing to do soon our off-channel  
10          habitat. Those dimensions there on actually in  
11          feet.

12                      But what we do know is that  
13          from our work so far we have good gravels,  
14          piesometer levels that we're seeing in terms of  
15          groundwater flow are good.

16                      So we're very confident that  
17          this is going to work there. And we've also  
18          identified three or four locations a little bit  
19          farther downstream that are close to the Taseko  
20          River elevation in alluvial fan. So options --  
21          something in this proves problematic as we  
22          continue investigating that.

23                      Flow augmentation that talked  
24          about within the Fish Creek watershed itself.

25                      Creek diversions and berm

1 upgrades and Haines Creek and Elkin Creek. Just  
2 some examples of that type of work that's  
3 undertaken.

4 Recreation access. Some  
5 options we put forward to the 11 Sisters chain and  
6 this is into Slim Lake. We've talked about the  
7 Hanceville hatchery, re-establishing that, and we  
8 actually used it -- I believe it was two years  
9 ago. We took about a thousand fry -- a hundred  
10 thousand fry, sorry, and used those to  
11 successfully out plant to Slim in here and another  
12 lake that's assigned a number that's out by  
13 Hundred Mile.

14 And fish passage restoration.  
15 So basically taking sections of stream where there  
16 has been some disruption to that flow that is  
17 impeding the travel of fish. A number of  
18 locations throughout the area. Just a couple of  
19 examples of what that looks like.

20 This is an example of a project  
21 Puncy Creek (ph) that Taseko has been doing with  
22 some First Nations youth. Typically, it would be  
23 replacement, repair of culverts and road  
24 crossings, is typically what that would look like.

25 I want to talk about the Taseko

1 River and salmon, because we've heard it's a huge  
2 concern for First Nations.

3 So previous review of the New  
4 Prosperity project concluded that there was no  
5 significant adverse effect on water. It concluded  
6 that there was no significant adverse effect on  
7 fish and fish habitat outside the Fish Creek  
8 watershed.

9 Obviously there's been changes  
10 within watershed, in the Fish Creek watershed,  
11 that requires, you know, the re-evaluation  
12 certainly of effects on water there. But  
13 specifically the 2010 Panel review concluded no  
14 significant adverse effects on fish health in the  
15 Taseko River.

16 So I said that there's been no  
17 changes in effects outside the Fish Creek water.

18 The changes in the project --  
19 there's no changes outside the watershed other  
20 than the establishment -- really, the big one, I  
21 guess, being the off-channel habitat which you see  
22 is a positive impact.

23 Within the watershed itself,  
24 we've moved the tailings pond. We've re-located  
25 the stockpiles, the (muffled) stockpile and the

1 ore stockpile. But the loading parameters of all  
2 those materials, the characterization of those  
3 materials, the quantities of those materials, have  
4 remain unchanged.

5 All of those components are  
6 still upstream of the open pit. So anything  
7 outside the watershed should be unchanged. We see  
8 that conclusion remaining the same. No  
9 significant adverse effect on fish health in the  
10 Taseko River and downstream.

11 We talked quite a bit about  
12 adaptive management. Greg talked about how you do  
13 that with your monitoring system and the frequency  
14 of sampling. I just want to give a sense of --  
15 I'll call them conceptual locations and types of  
16 monitoring that would be more specific to aquatic  
17 environment. So this is monitoring for fish  
18 health, everything to do with fish health and  
19 population and spawning and demographics.

20 Obviously, Fish Lake and the  
21 tributaries feeding Fish Lake and also the  
22 (muffled) channel habitat at Taseko lake, as well  
23 as that the off-site components of the fish  
24 compensation plan that just aren't on this map.  
25 So how successful are they? Are they doing what

1 we said they would do?

2 Monitoring of groundwater  
3 downstream of the embankments. South embankment,  
4 main embankment, west ridge. Sediments within the  
5 tributaries and Fish Lake itself and various  
6 locations monitoring dust, particularly in around  
7 the lake and the tributaries, around mining  
8 activities, around the tailings facility. Taseko  
9 Lake Lodge. I guess lastly those items related to  
10 water quality, and all the parameters that go with  
11 water quality -- flows and qualities.

12 I guess part of that, I just  
13 want to say that we believe this project has been  
14 very well designed. And part of good design, part  
15 of good engineering is identifying those things  
16 that can happen, designing out as many of those  
17 things that you can. But acknowledging that there  
18 are other things that remain possible. Making  
19 sure that you monitor for those things that are  
20 possible and not just monitor, but make sure you  
21 have mitigation plans, proven mitigation plans and  
22 procedures and methods available to you to address  
23 those should that occur.

24 And that's what that --  
25 monitoring system in those locations and adaptive

1 management program does.

2 So I've been talking mostly  
3 about operations. I don't want to forget about  
4 post closure. Just while I have the slide up,  
5 there was discussion the other day about seepage  
6 along the bluffs to the west. Those are the  
7 bluffs we're talking about here. While I didn't  
8 show it on the previous slide, those are the  
9 obvious locations where we would be monitoring the  
10 quality of that seepage.

11 With respect to closure, Greg  
12 talked a little bit about that and basically  
13 post-closure. We end up with a watershed that, in  
14 general terms, returns the flow to its pre-project  
15 path -- pathways, if you will.

16 Instead of having a chain of  
17 two lakes, Little Fish and Fish Lake, end up with  
18 a chain of three lakes -- from the TSF flowing to  
19 Fish Lake, Fish Lake flowing to Pit Lake and then  
20 onto the Taseko River.

21 Certainly our experience at  
22 Gibraltar would suggest to us that there's good  
23 potential for both the tailings lake and the Pit  
24 Lake to be fishbearing, but we haven't made any  
25 attempts to try and quantify that or include that

1 as a component of the fish compensation plan.

2 So the EIS that we submitted  
3 concludes no significant adverse environmental  
4 affects to fish and fish habitat. And the  
5 rationale for that is, granted, the Fish Lake area  
6 is relatively undisturbed, and the duration  
7 effects are long term. They are site specific to  
8 the fish lake watershed.

9 The effects do occur once, and  
10 with successful mitigation there are no residual  
11 affects, and the significant adverse effect  
12 (muffled) unlikely. We say it's unlikely because  
13 our confidence -- our confidence in those  
14 compensation measures.

15 In conclusion, no changes or  
16 effects on the Taseko River relative to what was  
17 proposed in 2009 other than the positive effects.

18 Fish Lake is preserved and  
19 protected. That was the intent of this project.  
20 And no significant adverse environmental effects  
21 to fish and fish habitat. And that's all.  
22 Thanks.

23 CHAIRPERSON ROSS: Thank you  
24 very much, Mr. McManus. I guess we go through the  
25 usual list. First question is any -- sorry. Did



1           you --

2                           MR. JONES:  Is it okay if we go  
3           over there?

4                           CHAIRPERSON ROSS:  Yes.  
5           Forgive me for getting ahead.  While they are  
6           moving over to their usual habitat, I will ask:  
7           Are there any questions from the Government of  
8           Canada?  I see shaking heads.

9                           In that case I will move on,  
10          hesitating just in case, but move onto any  
11          questions from the First Nations interested  
12          parties.  Mr. Pearse?

13                          MR. PEARSE:  Thank you,  
14          Mr. Chairman.  Is it okay if I inhabit the front  
15          table?

16                          CHAIRPERSON ROSS:  By all  
17          means.

18                          MR. PEARSE:  Tony Pearse for  
19          TNG.

20                          I have a thousand questions,  
21          Mr. Chairman, but you'll be happy to know I've got  
22          just a handful I want to ask of Taseko.

23                          I want to start with  
24          Mr. Jones's comment during his presentation about  
25          the comparison with Gibraltar fish tissue metal

1 concentrations compared to B.C. lakes.

2 I would ask him to comment on  
3 the fact that there's a difference between the  
4 surface water in a tailings pond and the pour  
5 water that would comprise the seepage that would  
6 escape the impoundment and go down into Fish Lake.

7 MR. JONES: I'm just wondering  
8 -- can you just repeat that for me Ton?

9 MR. PEARSE: Yes. In your  
10 comparison of metal concentrations and fish tissue  
11 between the Gibraltar pond and B.C. lakes, I'm  
12 asking you to, I guess, recognize that there is in  
13 fact a difference between pond water and what the  
14 concentrations in the seepage which are resulting  
15 from the pour water of the tailings is likely to  
16 be.

17 MR. JONES: That's a good  
18 question. Give me a second and let me ask my  
19 friend, Tony. Sorry for the delay.

20 I guess it's important to note,  
21 Tony, that the Gibraltar tailings pond is an  
22 active tailings pond. It's a functioning tailings  
23 pond, so the pond itself is closer to pour water  
24 quality than if it were not.

25 MR. PEARSE: Do you have any

1 data on that, that compares pour water deep in the  
2 tailings with your pond water or a seepage  
3 concentrations? And if you do, perhaps you could  
4 provide that to the Panel at some soon point.

5 MR. JONES: Specifically to  
6 Gibraltar? We do have water quality from within  
7 the tailings storage facility itself and in the  
8 seepage collection pond.

9 MR. PEARSE: And how do they  
10 compare?

11 MR. JONES: I don't know the  
12 numbers.

13 MR. PEARSE: Give us a data  
14 sheet that would compare the two.

15 MR. JONES: I believe we could  
16 do that.

17 CHAIRPERSON ROSS: Should I  
18 take that as an undertaking? Thank you,  
19 Mr. Jones.

20 MR. PEARSE: Mr. Jones, in 2009  
21 when you were doing your alternatives assessment  
22 for the Prosperity project, you were asked at that  
23 time, really, to look at an alternative to the  
24 mine development plan that did not involve the  
25 draining of Fish Lake, the use of Fish Lake.

1                   At that time you -- Taseko  
2                   discounted the alternatives, the alternative of  
3                   not involving the draining of the lake on the  
4                   basis that seepage would result in significant  
5                   impacts to fish water quality. Do you recall  
6                   that?

7                   MR. JONES: I recall the  
8                   alternatives assessment for sure. I don't recall  
9                   that -- I could probably clarify your statement.  
10                  If you carry on, Tony.

11                  MR. PEARSE: Did Taseko look at  
12                  an alternative in 2009 that involved the  
13                  protection of Fish Lake?

14                  MR. JONES: Yes, we looked at  
15                  two alternatives that did that.

16                  MR. PEARSE: You looked at two  
17                  alternatives in -- that did not involve Fish Lake?

18                  MR. JONES: Yes. There was the  
19                  alternative with the tailings facility located  
20                  north -- sorry, south of Fish Lake, option two I  
21                  think it was called. And the other alternative is  
22                  one where we (muffled) tailings storage facility  
23                  in the D'Angela (ph) drainage.

24                  MR. PEARSE: In 2009 you sat at  
25                  the Panel at the time that -- let me just quote:

1           "What happens to the water quality in  
2           Fish Lake if you try and preserve that  
3           body of water, the tailings facility  
4           right up against it? Is it over time  
5           the water quality in Fish Lake  
6           will become equivalent to the water  
7           quality in the pour water of the  
8           tailings facility, particularly when  
9           it's close. You might be able to delay  
10          that by moving the tailings facility  
11          farther away to Fish Creek South. You            may  
12          even be able to minimize that,  
13          reduce it by mitigation measures that  
14          could be applied. But eventually the  
15          water quality will change."

16                   Do you remember saying that?

17                   MR. JONES: Absolutely. And if  
18          you look -- I believe it's the language in the  
19          transcripts prior to your quote. The first  
20          portion of that statement is related to the  
21          project that was being proposed at the time with  
22          the tailings facility right up against Fish Lake,  
23          which is why we have re-located the tailings  
24          storage facility to give us the room to monitor  
25          and apply mitigation.

1                   And the last part of that  
2                   statement is correct because the water quality in  
3                   Fish Lake will change.

4                   MR. PEARSE:   In 2009, Knight  
5                   Piesold wrote a memo for you that looked at  
6                   what -- I think it was on request of the Ministry  
7                   of Mines, at what the impacts would be to Fish  
8                   Lake given the tailings facility right there and  
9                   there was -- the numbers came back, I think there  
10                  were eight parameters it would be significantly  
11                  elevated in the lake.

12                  So my question is:   What would  
13                  you anticipate the effects to be when you move the  
14                  tailings impoundment two-and-a-half kilometres  
15                  upstream in terms of the concentrations that would  
16                  result in Fish Lake?   What is the effect of moving  
17                  the dam back two-and-a-half in terms of what  
18                  happens in Fish Lake?

19                  MR. JONES:   The effect of  
20                  moving the dam is that you're given the room, the  
21                  space, the two kilometres in which to implement  
22                  monitoring wells, pump back system, that you don't  
23                  have with a dam right up -- actually, the previous  
24                  professional at the toe of the main embankment  
25                  encroaching in the lake, and the water quality,

1 the effects on water quality we predicted within  
2 the EIS, of the project as proposed.

3 MR. PEARSE: Well, before we  
4 get to mitigation, just without the pump back  
5 wells and so on, what would you expect the effect  
6 to be on the concentrations given that they've got  
7 two-and-a-half kilometres more distance between?  
8 Is it just a matter of the same concentration but  
9 a longer time to get to the lake?

10 Is it a matter of reduced  
11 concentrations because of potential dilution?  
12 What would be the effect? What is Taseko's  
13 assessment of the difference in having moved the  
14 tailings impoundment the two-and-a-half kilometres  
15 on Fish Lake concentrations?

16 MR. JONES: I think I'm having  
17 a hard time in understanding the question are you  
18 asking me. Are you asking me....

19 If you looked at the previous  
20 project with the tailings dam where it was located  
21 right up against the lake, to take what the water  
22 quality predictions would have been for Fish Lake  
23 given that scenario if Fish Lake was retained  
24 versus what's being predicted now?

25 MR. PEARSE: In 2009 you looked

1 at an option on the request of the Ministry of  
2 Mines and said, what if you just were to save Fish  
3 Lake, what would the effects be of having the  
4 tailings impoundment right there? And you  
5 produced a -- Knight Piesold produced a paper and  
6 it had a serious result.

7 So the question is: Given  
8 that, all you've done now really is moved the  
9 tailings impoundment two-and-a-half kilometres  
10 upstream. What is Taseko's assessment of the  
11 effect of having moved that distance? I guess the  
12 second follow-up to that is, where in the  
13 environmental assessment would the Panel expect to  
14 find that assessment, or where can they find it?

15 MR. JONES: I don't know, maybe  
16 the short answer to the question, Tony, is if the  
17 tailings facility had not been re-located, if the  
18 tailings facility had remained as proposed in  
19 2009/2010 and Fish Lake was maintained, water  
20 quality in Fish Lake would eventually end up being  
21 the same as the pour water quality in the tailings  
22 facility.

23 From the project that we put  
24 forward, we're predicting the water quality as  
25 we've laid out in the EIS.



1 MR. PEARSE: Certainly now,  
2 given you've moved the tailings impoundment back,  
3 you've got an opportunity, as you say, to put in  
4 pump back wells and collect. So I guess the next  
5 question to that is: Have you modelled what the  
6 effect of treatment would be on the water quality?  
7 Is the treatment process part of the modelling  
8 work that Taseko has performed here?

9 MR. JONES: You are talking  
10 specifically about water treatment? Is that part  
11 of the model?

12 MR. PEARSE: Yes. Did you  
13 model -- I think you've modelled the effects  
14 without mitigation in your water quality models.  
15 I guess we're talking about the SRK Fish Lake  
16 recirculating model.

17 So having modelled the effects  
18 of the treatment that -- the water quality  
19 treatment incorporated those into your model, into  
20 your predictions.

21 MR. JONES: No, we haven't  
22 incorporated it in the model. We've looked at,  
23 based on the water quality predictions for those  
24 elements that the model puts out, elements that  
25 could be above guidelines ultimately. We've

1 looked at what the volume of material, volume of  
2 water that would need to be to treated to achieve,  
3 make sure we stay below water quality guidelines.  
4 It's not incorporated in the model.

5 MR. PEARSE: I guess I mean it  
6 strikes -- did you not think that the Panel might  
7 like to have that kind of assessment in front of  
8 it so it could understand what it is you are  
9 proposing to do and how effective the treatment  
10 would be in getting those concentrations down?

11 MR. JONES: I guess we didn't  
12 make a judgment as to -- try and guess what the  
13 Panel would like. We kind of took the IRs, SIRs  
14 and the additional technical information required  
15 and address those, assuming that's what the Panel  
16 is asking for.

17 MR. PEARSE: Thank you.  
18 Environment Canada submitted their -- in their  
19 submission, I just want to go to a particular  
20 location there. I assume you have read or had an  
21 opportunity to look at the Environment Canada  
22 submission? And if so, could I take you to page  
23 21 on that?

24 MR. JONES: Just give us a sec,  
25 Tony, we've got to pull it up. Got it. Thanks,

1 Tony.

2 MR. PEARSE: So on page 21,  
3 talking about the water balance and they are  
4 talking about a previous water balance that you  
5 used that had a sensitivity analysis for it about  
6 precipitation and runoff and so on, upper and  
7 lower bounds. And they were concerned in this,  
8 sort of, new operational water balance they use  
9 the term it's been simplified where essentially  
10 you've abandoned that sensitivity analysis  
11 component. I would ask you: Why did you do that?

12 MR. JONES: I can't speak to  
13 that. I don't know that for certain.

14 MR. PEARSE: Dr. Desbarats the  
15 other day talked about having done a very  
16 conservative model using your numbers for  
17 precipitation, and I kind of misquoted him at the  
18 time, but there's a real issue here that had you  
19 done a sensitivity analysis about the amounts of  
20 water that could flow or not flow into the  
21 tailings impoundment on a long-term basis  
22 annually, whether or not -- I mean, the issue is  
23 could the PAG rock, for example, ever become  
24 exposed?

25 So you've done a water balance

1 model. It sounds like, from what Environment  
2 Canada kind of dumbed down a bit, you haven't  
3 looked at the full range of stuff. And Dr.  
4 Desbarats made it clear that a more realistic  
5 taking in the natural variation, that kind of  
6 modelling is yet before us.

7 So at this point we really  
8 don't have an understanding of the full range of  
9 possibilities in terms of the water level and  
10 impoundment; is that correct?

11 MR. JONES: I don't think  
12 that's correct, Tony. That's kind of hard to --  
13 you don't have a full understanding of variability  
14 in water flows....

15 MR. PEARSE: Mr. Jones, you may  
16 very well have a full understanding of it, but the  
17 point really, I think, is the Panel has to  
18 understand. Where can they find this in the  
19 assessment? They have to be able -- have a  
20 reasonable sense that there's virtually no chance  
21 that the PAG will ever become exposed, for  
22 example. Where in the EIS would this information  
23 be found?

24 MR. JONES: Is the information  
25 that you are asking is, where is the rationale for

1 a simplified water balance? Is that the question?

2 MR. PEARSE: No. Where does  
3 the Panel get a good assessment that's realistic,  
4 long term of what the water levels might look like  
5 in the impoundment particularly in the long term.  
6 Post closure?

7 MR. GREG SMYTH: Greg Smyth  
8 here. I'll just respond to a couple of these.

9 So in the previous EIS there  
10 was an approach taken to look at the variability  
11 of climatic conditions across the site. And  
12 through the back and forth with -- and the hearing  
13 process with Environment Canada and others, sort  
14 of a number of different iterations of that were  
15 done to try and bracket it to the sufficient  
16 approval of Environment Canada, if you will.

17 That process looked at it in a  
18 number different ways. I don't really get into  
19 it. I don't need that's necessarily what we need  
20 to be getting into right now.

21 But it looked at a mean and it  
22 looked at a number of scenarios on the low side, a  
23 dryer side and wetter side. And this time, the  
24 approach that was taken was not to discount that  
25 but really to come up with a particular model that

1 would look at both mean, average conditions, and  
2 also dryer or wetter scenarios, not just looking  
3 at means or averages but actually the range, which  
4 we did. And it closely matches essentially what  
5 was done previously.

6 So within the various  
7 documentation within the EIS, there are -- the  
8 simplest thing would be to look at graphs that  
9 present the growing pond volume within the  
10 tailings facility over the life of the project.  
11 And there are a number of graphs that are  
12 certainly within the sections that related to  
13 water management and the various appendices that  
14 have been generated to look at the growth of the  
15 pond over time.

16 And it looks at it over mean  
17 conditions, as well as the bracketed range. I  
18 think we used 95th percentile on the dry and the  
19 wet side. I would have to confirm that. That's  
20 essentially the approach that was taken this time.

21 I think Environment Canada did  
22 have a number of questions that they may ask later  
23 on in the hearing that we can talk to, but I think  
24 also their end conclusion was there's a growing  
25 pond in there over the life of the project and,

1           therefore, that seems like a reasonable mitigation  
2           for, you know, dryer conditions later on in order  
3           to maintain a pond over the PAG waste materials.  
4           Does that answer your question?

5                           MR. PEARSE:   Sort of, but I'm  
6           not going to pursue that.  I'm glad I have you up  
7           at the mic, Mr. Smyth, because I wanted to ask  
8           about the water quality modelling that Knight  
9           Piesold did.

10                           First, let me just make sure  
11           that I understand the -- I think there's three  
12           water quality models that have been done.  There's  
13           an SRK one, the Knight Piesold one and then  
14           there's the Triton modelling.  And if I get this  
15           wrong I'm sure you'll jump on me.

16                           As I understand it, the SRK did  
17           the work that relates to the Fish Lake circulation  
18           component of the mine.  And Knight Piesold did  
19           sort of everything else outside that piece in  
20           terms of the adjacent lakes and waters.  Is that  
21           correct?

22                           MR. GREG SMYTH:  That's  
23           correct.

24                           MR. PEARSE:  And in the EIS,  
25           page 706, it says that complete details for these

1 two metals are found in two different appendices.

2 I would actually like you to,  
3 if you can, put up -- and maybe you have to come  
4 over here to do this -- I just wanted to put up  
5 very quickly the Knight Piesold report on the  
6 water quality model. Just spend 10 seconds with  
7 it. If can you bring it on the screen or --

8 MR. SMYTH: I can't put it on  
9 the screen. Maybe the Secretariat can help?

10 MR. PEARSE: Unless the Panel  
11 is able to do that on their computers. I wanted  
12 to look at the table of contents of that report.

13 CHAIRPERSON ROSS: We may be  
14 able to recover it here if I knew something about  
15 it's CEAR number, or some such information, date  
16 of submission.

17 MR. PEARSE: Mr. Smyth, do you  
18 have the CEA number?

19 MR. GREG SMYTH: I've got the  
20 appendix number.

21 CHAIRPERSON ROSS: That's fine.

22 MR. PEARSE: The appendix is  
23 2.7.2.4, B to G.

24 Looks like we have it on the  
25 screen, Mr. Chairman. That's good.



1                   Now, just before I get into  
2                   this I just -- I mentioned the two models. And  
3                   the third model is a model that I believe Triton  
4                   did. And what they did is they based -- and that  
5                   really took, as I understand it, the SRK  
6                   information and looked at sort of the biological  
7                   effects -- modelled biological effects in Fish  
8                   Lake. So those three models are kind of -- that  
9                   is sort of the relationship, is the Triton one is  
10                  based on the SRK one to understand what the  
11                  biological effects are in Fish Lake. Is that  
12                  correct?

13                   MR. GREG SMYTH: That's  
14                   correct.

15                   MR. PEARSE: Now, we have up  
16                   here the table the contents. Mr. Chairman, I just  
17                   want to ask the company, or Knight Piesold, to  
18                   look -- so this is a report on the water quality  
19                   modelling for the area, not including Fish Lake.  
20                   And you can see that there's a discussion of the  
21                   model itself where things were done, the  
22                   parameters that were modelled, the assumptions,  
23                   inputs, et cetera, treatment of the discussion of  
24                   the results. It's all here in a lot of  
25                   information, and there's conclusions.

1                   And down here there's some  
2                   appendices, and you'll note there's a guideline,  
3                   summary stats, tables, all the Excel spreadsheets,  
4                   then the concentration graphics which are the  
5                   pictures that show.

6                   Now, I just want the Proponent  
7                   to ask why, given this as an example -- and this  
8                   is information that was requested a number of  
9                   times by TNG for the SRK model. When you go to  
10                  the same appendix for the SRK all you get is  
11                  appendix C, a bunch of 148 pictures of graphs  
12                  without any of the rest of it.

13                  Now, given that, where in the  
14                  environmental assessment can the Panel go, can a  
15                  reviewer go to find out the whole explanation of  
16                  what was done for Fish Lake?

17                  MR. JONES: I think it's in the  
18                  response to IR 16, Tony, if you have that.

19                  MR. PEARSE: IR16. The  
20                  question was raised a number of times through the  
21                  information request process. But, in fact, those  
22                  answers didn't really deliver the goods. We never  
23                  got to a place where you could say in the EIS:  
24                  This discussion, this reporting out of results is  
25                  available.

1                   So the Panel, in order to  
2                   evaluate the SRK work, has nothing sort of  
3                   coherent anywhere in the body of material you've  
4                   submitted to evaluate that. I'll throw that out  
5                   there and ask you to respond. And if you think  
6                   there is somewhere, let us know where we can go to  
7                   get it, where can we find it?

8                   MR. JONES: I guess I would ask  
9                   whether the Panel is able, whether they have what  
10                  they need, Tony. Is the question whether the  
11                  Panel has it or whether you have it?

12                  I realize, Tony, because we saw  
13                  this request from TNG quite a few times asking for  
14                  additional clarity of the models and how they  
15                  work. We made our best efforts to try and explain  
16                  that, but it doesn't sound like we were  
17                  particularly satisfying in that in terms of  
18                  explaining that.

19                  MR. PEARSE: Well, I mean I'm  
20                  going to leave it to the Panel to decide if they  
21                  can find this information to verify the model.

22                  So let's now go to -- let's now  
23                  go to the Triton report which is based on the SRK  
24                  modelling work for which we don't have a lot of  
25                  information other than a bunch of graphical

1 pictures in the SRK appendix.

2 On the Triton report on page 3,  
3 this report -- let's, first of all, clarify the  
4 role of this report.

5 The Triton report, which is the  
6 predictions of what the water quality impacts or  
7 effects on aquatic life are for Fish Lake is  
8 arguably one of the critical documents in front of  
9 -- as part of the assessment because the  
10 assessment is focused on preserving Fish Lake.  
11 Agreed?

12 MR. JONES: I would say it's  
13 important.

14 MR. PEARSE: Not critical?  
15 Can't get that out of you?

16 CHAIRPERSON ROSS: Let's move  
17 on.

18 MR. PEARSE: So on page 3 you  
19 say the first thing that you did was you evaluated  
20 maximums to characterize potential worst case  
21 scenarios, and then you go on to say, you kind of  
22 moved onto average numbers for your analysis.

23 Is the treatment or the  
24 assessment of the maximums, was that submitted as  
25 part of the environmental statement? Is that

1 information in front of us or just the average  
2 numbers in front of us in the Triton report?

3 MR. JONES: Sorry, Tony, my  
4 apologies, I was talking when you started that.

5 MR. PEARSE: You say on page 3  
6 that you first got into looking at the maximums in  
7 your assessment and then you moved onto the  
8 average concentrations because these were  
9 considered more reflective of typical conditions.

10 What did you do with the  
11 results of the maximums? Was this information put  
12 into the material or is that somewhere on a back  
13 shelf somewhere else that we haven't seen?

14 MR. JONES: Tony, I don't know  
15 that, we don't know that rate here. We would have  
16 to look into that.

17 MR. PEARSE: Would that be an  
18 undertaking, Mr. Chairman, that Triton or Taseko  
19 would get back to us and if you have the results  
20 for the maximum concentrations that would, I  
21 think, be helpful to us because it gives us a  
22 range of what might happen in Fish Lake.

23 CHAIRPERSON ROSS: The question  
24 has been posed. Would you undertake to do that?

25 MR. JONES: Yes.

1 CHAIRPERSON ROSS: Thank you.

2 MR. PEARSE: I just want to the  
3 jump to the Fish Lake mitigation report. I have a  
4 couple questions about that and we'll go to page  
5 35. We're looking at appendix 2.7.2.4, B to D.

6 Page 35 is the last page. Here  
7 you are talking about risk and associative  
8 mitigation. In the first paragraph it says:

9 "Lastly, a plan will be established  
10 for fish salvage in the event of  
11 prolonged shut down."

12 You are talking about would  
13 what happen if the flows stop, what kinds of  
14 mitigation measures you can use to deal with, say,  
15 failure of pumps loss of power, damage to  
16 pipelines, et cetera.

17 So I would ask you to explain  
18 what this fish salvage operation would do to  
19 mitigate the impacts of a pump failure or some  
20 other event in terms of dealing with the objective  
21 of preserving Fish Lake as a fully functioning  
22 aquatic ecosystem.

23 There's a -- I would put it to  
24 you that there's a huge gap between salvaging fish  
25 when you have a problem and saving the lake. So

1 if you would comment on that gap and what that  
2 mitigation measure actually achieves that would be  
3 helpful, I think. Thank you.

4 MR. JONES: Sorry, Tony, I'm  
5 not seeing the part about fish salvage. Let me  
6 just talk to temporary closure. Maybe that will  
7 answer your question.

8 Temporary closure is not  
9 something where suddenly everybody leaves the  
10 site. Temporary closure there is a presence on  
11 site. I will give you an example. When Gibraltar  
12 was temporarily shut down there was 10, 12 people  
13 there, and part of their job is making sure the  
14 key pumps and key things related to environment  
15 are maintained.

16 MR. PEARSE: I'm not talking  
17 temporary closure. I'm talking about what would  
18 happen if your pumping system failed, for whatever  
19 reason, mechanically, power lines go down or  
20 whatever. I know you've got -- I'm not talking  
21 about what could happen.

22 I'm talking about you say there  
23 will be a plan for fish salvage in the event of  
24 prolonged shut down. So my question is: What  
25 does that mean in terms of -- what does salvaging

1 fish mean relative to the objective of maintaining  
2 the lake?

3 MR. JONES: Maybe I should put  
4 that in perspective of what's a prolonged shut  
5 down. We're a mining company. We run pumps.  
6 That's a big component of what we do, it's kind of  
7 a critical piece, we're good at that. And  
8 maintenance programs and ensuring that doesn't  
9 happen.

10 So the concept of prolonged  
11 pump failure, particularly on something like let's  
12 say recirculation, in my mind prolonged would be  
13 something that is -- where it becomes critical to  
14 the survival or whatever you are concerned about.  
15 And the only way that can happen is if you lose it  
16 -- if you lose a transmission line for weeks,  
17 we're not talking about a pump going down. This  
18 kind of system you would have an installed spare.

19 Is that -- put it in  
20 perspective?

21 MR. PEARSE: My question is:  
22 What the relevance fish salvage program? So what?  
23 Why are you salvaging fish?

24 MR. JONES: I agree. Why are  
25 we salvaging fish?



1 MR. PEARSE: You are proposing  
2 to do that, Mr. Jones.

3 CHAIRPERSON ROSS: Mr. Pearse,  
4 I'm trying to find where the reference to fish  
5 salvage is found and I can't seem to find it in  
6 the appendices you referred to. So could you be  
7 more specific to help us?

8 MR. PEARSE: Yes. I'm looking  
9 at the document prepared by -- prepared for Taseko  
10 on the front cover. It's called "Fish Lake  
11 Mitigation Flow." It's appendix 2724, B-D. And I  
12 believe I'm on the last page of that.

13 Section 6, "Risk And Associated  
14 Mitigation". So this is their proposed  
15 mitigation, as I understand it for the -- are you  
16 there?

17 MR. WHELAN: I think what that  
18 paragraph intends, this date, if there was in the  
19 rare event of a shut down the fish would be  
20 salvaged from the rechate (ph) from the tributary,  
21 and probably put back into the lake until the pump  
22 is repaired.

23 MR. PEARSE: I'll leave that  
24 one. It sounds a bit arcane to me.

25 CHAIRPERSON ROSS: Sorry, could

1           you identify yourself for the court reporter,  
2           please?

3                           MR. WHELAN:  I'm Mike Whelan.

4                           CHAIRPERSON ROSS:  Thank you.

5           I knew you were introduced but I had forgotten  
6           your name.  I apologize.

7                           MR. PEARSE:  Mr. Whelan, could  
8           you just stay there?  I think my next question is  
9           probably for you too.

10                           In that same section the  
11           concluding sentence there says:

12                           "It is expected with effective on-site  
13           monitoring and implementation of  
14           mitigation, et cetera, the risk of  
15           failure of the proposed flow  
16           augmentation plan will be reduced to an  
17           acceptable level."

18                           I would like you to  
19           explain to the Panel what you mean by  
20           'acceptable level'.  I suppose that means the risk  
21           of failure to an acceptable level.  Could you  
22           explain that, please?

23                           MR. WHELAN:  I didn't write  
24           that section, but I think "acceptable level" would  
25           be there would be no -- there would be backup

1 pumps sufficient to -- there would be no loss of  
2 water in the mitigation channels.

3 MR. PEARSE: Sorry, I thought  
4 you were the author of the paper. I wasn't really  
5 asking for your opinion if you were not the author  
6 of the paper. Who wrote the paper? Mr.  
7 Whitehouse, is it?

8 MR. WHITEHOUSE: Yes, Ryan  
9 Whitehouse. I wrote that paper, and by  
10 "acceptable level of risk" I was talking about the  
11 temperature and the dissolved oxygen  
12 concentrations in the creek that would be -- make  
13 sure that --

14 CHAIRPERSON ROSS: Mr.  
15 Whitehorse, could you get a little closer to the  
16 mic, please?

17 MR. WHITEHOUSE: Sure.

18 By "acceptable level" I was  
19 referring to I believe the temperatures and the  
20 dissolved oxygen concentrations, and the  
21 mitigation habitat could be maintained at levels  
22 suitable to maintain fish.

23 I wasn't speaking about the  
24 reliabilities of the pump. I was strictly  
25 speaking about the water that was being

1           circulated. And there was sufficient quality to  
2           maintain fish.

3                           MR. PEARSE: Thank you,  
4           Mr. Whitehouse. I would ask either you or  
5           Mr. Whelan whether you -- either of you have had  
6           any experience with lake recirculation programs  
7           that are permanent and involve similar quantities  
8           of water?

9                           MR. WHELAN: No.

10                          MR. WHITEHOUSE: I have not,  
11           no.

12                          MR. PEARSE: Are there any case  
13           studies or precedents that you could prefer the  
14           Panel to?

15                          MR. WHITEHOUSE: Well, we have  
16           undertaken a literature review looking at the  
17           examples of recirculation. There are some  
18           examples of larger scale systems that are  
19           recirculated. There are ponds in parks in  
20           Victoria, like Beacon Hill park that are  
21           recirculated. There are other examples from lakes  
22           they are they recirculated water into spawning  
23           channels successfully to allow for fish to spawn  
24           in them.

25                          MR. PEARSE: Nothing on this

1 scale as proposed, correct?

2 MR. WHITEHOUSE: I believe that  
3 this would be a little bit different and a little  
4 bit unique than those other projects, and perhaps  
5 not on the same scale.

6 MR. PEARSE: So it would be  
7 fair to say this would be an experimental unproven  
8 technology that's being proposed here. There's no  
9 track record, right?

10 MR. JONES: I think maybe it's  
11 important to recognize that pumping is not a new  
12 technology, Tony. I realize there's some  
13 complexities related to fish and health of fish  
14 and the rest of those things, but the mechanical  
15 component of this is pretty straightforward.

16 MR. PEARSE: Thank you. Could  
17 I then just talk back briefly to the mitigation  
18 flow report -- sorry, the water quality, Triton's  
19 water quality model report.

20 Did one of you write this? Did  
21 you write this report, Mr. Whitehouse?

22 MR. WHITEHOUSE: Yes, I was  
23 part of a team that prepared this.

24 MR. PEARSE: Say that again,  
25 you were part of it?

1 MR. WHITEHOUSE: I was part of  
2 a team that prepared this report.

3 MR. PEARSE: So this was a  
4 report prepared by several people?

5 MR. WHITEHOUSE: Yes.

6 MR. PEARSE: I noticed -- maybe  
7 I could take you to the inside the front cover of  
8 that report, and I would like you just to read the  
9 first two sentences under the disclaimer, please.

10 MR. JONES: Tony, are you talk  
11 about the disclaimer?

12 MR. PEARSE: Yes. If you just  
13 read the first two sentences of that disclaimer  
14 for the Panel that would be appreciated. Thank  
15 you.

16 MR. WHITEHOUSE: It's under the  
17 disclaimer.

18 "The report is rendered solely for the  
19 use of Taseko Mines Limited in  
20 connection with the New Prosperity mine  
21 and no person may rely on it for any  
22 other purpose without Triton  
23 Environmental Consultants Limited's  
24 prior written approval. Should a third  
25 party use this report without Triton's

1 approval they may not rely upon it."

2 MR. PEARSE: Thank you. Maybe  
3 you would explain the relevance to the Panel and  
4 whether or not the Panel can rely on this report  
5 or whether they should maybe require -- get  
6 written approval from you to be able to do --

7 CHAIRPERSON ROSS: Mr. Pearse,  
8 I'm not sure this is terribly productive. Could  
9 we get to something that focuses on the  
10 environmental effects of the project?

11 MR. PEARSE: Mr. Chairman,  
12 actually I'm more or less at the end of my  
13 questioning. But I think it is very relevant  
14 because if you look at the other appendices and  
15 technical reports that have been submitted, and we  
16 just looked at one a minute ago by Triton, there's  
17 no such disclaimer.

18 In my view, this is a fairly  
19 strong statement that really says -- I think it  
20 says to the Panel, you can't depend on the  
21 information.

22 Now, I suspect the Panel will  
23 look at this material and go through it at any  
24 rate. But the long term implications is in the  
25 future anybody using this, what did this mean? I

1 think it's very serious because this is the key  
2 document now that is going to explain to you how  
3 -- what's going to happen with Fish Lake aquatic  
4 life.

5 We've seen it's been -- the  
6 whole is based on the SRK report, which I think  
7 you don't have any real coherent information in  
8 front of you about how they got all those  
9 graphical results, so there is sort of an empty  
10 box there. Now they are saying -- I think they  
11 are saying you can't depend on any of this  
12 information. So I think it's very important to  
13 get this clarified here. This is a critical piece  
14 of information, Mr. Chairman.

15 CHAIRPERSON ROSS: Any short,  
16 succinct response, please?

17 MR. JONES: This is standard  
18 language in work that is done by consultants for  
19 us. We see it all the time and Taseko is relying  
20 on this report, and it's in the public domain now.

21 MR. PEARSE: Mr. Chairman, just  
22 one question on this then I won't push it.

23 I would really like -- I think  
24 Triton wrote this. They didn't put it in the  
25 other documents. Why is it in this one? And I



1 think they need to explain that, Mr. Chairman.

2 CHAIRPERSON ROSS:

3 Mr. Whitehouse?

4 MR. WHITEHOUSE: I can't -- I  
5 don't have an answer for why this was included in  
6 this report and not the other reports. I will try  
7 to find out if there is a specific reason behind  
8 it. I will say, though, that the report was  
9 prepared by Triton Environmental Consultants and  
10 by qualified professionals to do so. And we do  
11 stand behind the work that we did in that record.

12 MR. PEARSE: Mr. Chairman,  
13 maybe it's a simple matter of Triton just  
14 writing -- giving the panel written approval to  
15 use it putting something on the record and we're  
16 done. Thank you.

17 I think we're done,  
18 Mr. Chairman.

19 CHAIRPERSON ROSS: Mr.  
20 LaPlante?

21 MR. LA PLANTE: Thank you,  
22 Mr. Chairman. Good morning.

23 Mr. Jones, I heard you say that  
24 pushing the tailings impoundment dam back two  
25 kilometres was absolutely critical. In my

1 understanding of what you said -- and correct me  
2 if I'm wrong -- but it that it's because it gave  
3 you the two-kilometre space in order to apply the  
4 mitigation measures that you are proposing. Is  
5 that a fair summary of the point you were making?

6 MR. JONES: It sounds fair.

7 MR. LA PLANTE: Thank you. I'm  
8 wondering, then, what's the plan for Wasp Lake and  
9 Big Onion Lake? And I'll note that Wasp Lake is  
10 only 500 metres away from the south embankment.

11 MR. JONES: Are you asking what  
12 is the plan for Wasp Lake with respect to  
13 monitoring?

14 MR. LA PLANTE: No. The  
15 mitigations. So if you're -- if there's a pump  
16 back mitigations being required for Fish Lake and  
17 you need two kilometres in order to make that  
18 effective, what about Wasp Lake, which is only 500  
19 metres away? What about Big Onion Lake, which is  
20 affected by groundwater?

21 MR. JONES: Sorry, I don't mean  
22 to suggest that you have to have the two  
23 kilometres to do that. Tailings facility was  
24 moved as far away from Fish Lake as we could.  
25 It's still 500 metres from Wasp Lake and we've got

1 monitoring wells proposed there and, if required,  
2 they can become pump back wells (muffled) to  
3 protect Fish Lake. That's the plan.

4 MR. LA PLANTE: Is it fair to  
5 say, then, that by pushing the impoundment back  
6 two kilometres that you are elevating the risk to  
7 Wasp Lake and possibly Big Onion Lake, because  
8 there isn't that space?

9 MR. JONES: Increase in the  
10 risk to Wasp and Big Onion Lake relative to the  
11 proposed project in 2009. Is that the question?

12 MR. LA PLANTE: Relative to  
13 Fish Lake. So you don't have that space that you  
14 just said was critical to applying the mitigation  
15 measures to protect Fish Lake.

16 So I'm wondering -- and I don't  
17 think we've seen a discussion yet about the  
18 mitigation measures as applied to protecting Wasp  
19 Lake or Big Onion Lake. So I think it's really  
20 critical for Panel to get a sense of not just  
21 whether you've "saved" Fish Lake, but what about  
22 all the other water bodies? And I'll note that  
23 was Wasp Lake flows into Beece Creek and that's  
24 fishbearing, all fishbearing.

25 MR. JONES: I'm certain that

1           within the EIS the water quality predictions  
2           include those for Wasp Lake as well as Fish Lake.

3                         So the information is provided  
4           in the EIS and the monitoring wells downstream to  
5           the south embankment were also there to ensure  
6           that. I don't know what else to say beyond that.

7                         MR. LA PLANTE: I guess my  
8           point is, I'm curious if the -- can you apply the  
9           mitigations given that you don't have the space?

10                        MR. JONES: Yes, we can. We  
11           have the space to do that.

12                        MR. LA PLANTE: My final  
13           question is: If NRCan's model showing up to 11  
14           times the amount of seepage, what would be your  
15           prediction of the impact on water quality in Fish  
16           Lake?

17                        MR. JONES: Actually, I think  
18           we demonstrated that the NRCan model is not  
19           predicting 11 times more seepage than our model.  
20           They are actually -- our total numbers are pretty  
21           close.

22                        MR. LA PLANTE: But you haven't  
23           assessed what the impacts to Fish Lake would be if  
24           their model turned out to be what actually  
25           happened?

1 MR. JONES: No, we haven't.

2 MR. LA PLANTE: Okay. Thank  
3 you.

4 MR. PEARSE: We're done, Mr.  
5 Chair. Thank you.

6 CHAIRPERSON ROSS: Thank you.  
7 I think at this point we'll take a break and we'll  
8 come back in 15 minutes.

9 --- Recessed at 10:50 p.m.

10 --- Resumed at 11:10 a.m.

11 CHAIRPERSON ROSS: Ladies and  
12 gentlemen, I think we are ready to start up again.

13 If I could have your attention.  
14 Before we continue with the questioning of Taseko,  
15 the Panel has a question that it would like to  
16 pose and Taseko has indicated again today about  
17 the comparison of seepage predictions that it  
18 makes and Natural Resources Canada has made.

19 The Panel has some residual  
20 confusion and we would like to try to seek some  
21 greater clarity on that.

22 With that in mind -- because we  
23 note that Dr. Desbarats is in the audience, we  
24 would like to ask him to provide any further  
25 assistance he can to the Panel regarding the

1 comparative predictions of seepage. Dr.  
2 Desbarats?

3 DR. DESBARATS: Thank you,  
4 Mr. Chairman.

5 NRCan's submission and my  
6 presentation make a factual comparison of the  
7 modelling results that I developed and Taseko's  
8 modelling results. So I believe the facts are  
9 there for you to assess.

10 Now, Taseko's comment that they  
11 believe that their modelling predictions are  
12 essentially equivalent to mine, I do not believe  
13 is correct.

14 CHAIRPERSON ROSS: Could you  
15 perhaps indicate what the differences would be  
16 that would help us better to understand?

17 DR. DESBARATS: Well, I think  
18 Taseko's position is really based on their 2-D  
19 modelling results, if I've understood correctly,  
20 where they -- for example, their total seepage  
21 rate through the base of the TSF is somewhat more  
22 -- well, maybe 60 percent of NRCan's base case  
23 value.

24 However, I did point out that  
25 they are 2-D modelling results did not include any

1 seepage into the deep groundwater zone, and that,  
2 in my model, amounts to a significant flux of  
3 about 1600 cubic metres per day.

4 So really their 2-D modelling  
5 -- it's difficult to compare the two because they  
6 had boundary conditions that precluded any flow to  
7 the deep groundwater zone.

8 But their number is within a  
9 factor of two of NRCan's number, NRCan's base case  
10 number.

11 CHAIRPERSON ROSS: Thank you.  
12 In that case, thank you for that. That's helpful.  
13 Thank you, sir.

14 We will move onto questioning  
15 by -- I guess the logical next step is any other  
16 First Nations interested parties, and any other  
17 organized -- no, let me rephrase that. Any other  
18 first party organizations. That's way wanted to  
19 say.

20 Oh, sorry?

21 MR. WILLIAMS: I think I  
22 qualify, Mr. Chairman.

23 CHAIRPERSON ROSS: Please step  
24 to a microphone, identify yourself and ask the  
25 question.

1 MR. WILLIAMS: My name is David  
2 Williams. I'm with Friends of Nemiah Valley.

3 It's just a couple of brief  
4 questions about the fish compensation plan. And I  
5 notice considerable discussion about  
6 re-engineering Elkin Creek, and that's of concern  
7 to me. You talk about creating berms and  
8 increasing flows at certain times. And I wonder  
9 to what extent you've studied Elkin Creek and the  
10 lower portions especially?

11 MR. JONES: I'll just ask Mike  
12 Whelan to speak to that.

13 MR. WHELAN: The Elkin Creek  
14 compensation plan was an idea put forward by the  
15 Ministry of Environment back in the mid-2000s.  
16 And what it speaks to, I, guess is in headwaters  
17 of Elkin Creek between Elkin Lake and the Nemiah  
18 Valley, there is a berm there and a flow diversion  
19 and a series of berms that aren't functioning as  
20 intended.

21 So during the freshet, the  
22 water that would normally report to Elkin Creek as  
23 part of the Elkin Creek drainage, most of the  
24 water that would report to Elkin Creek drainage, a  
25 lot of it goes into Nemiah Creek. And as a



1 result, there is not a lot of spawning flows in  
2 lower in Elkin Creek for (muffled) in chinook in  
3 particular, are not there.

4 So part of our compensation  
5 plan would be to, again, have a geotechnical  
6 assessment, hydrological assessment, and see if  
7 the berms can't be modernized or updated, fixed,  
8 so that they will keep all of Elkin Creek water  
9 within the Elkin Creek watershed, and keep the  
10 spawning habitat right at the mouth.

11 MR. WILLIAMS: So these are  
12 berms that have been manmade? So you don't know  
13 the effects it might be in the area that runs  
14 through the conservancy, for instance, through  
15 Elkin Valley, the Valhalla property?

16 CHAIRPERSON ROSS: Could you,  
17 A, turn on the mic and, B, get a little closer to  
18 it please. Mr. Whelan?

19 MR. WHELAN: No. The intent is  
20 to just restore baseline flows throughout the  
21 Elkin Creek watershed.

22 MR. WILLIAMS: Thank you. The  
23 other is -- I notice if you're talking about  
24 increasing fishing experience in a number of lakes  
25 in the Haines Creek area. Talk about the 11

1 Sisters, and particularly Slim Lake, which is  
2 accessed by a three-kilometre trail at present.

3 You talk about road building  
4 into some of these lakes, which changes the nature  
5 of the country. Part of the experience is that  
6 you actually have to access them on foot. So have  
7 you considered the effect that road building might  
8 have into these lakes and building camp sites?

9 MR. WHELAN: Yes, we discussed  
10 that when the 11 Sisters channel lakes came up  
11 again. That was a concept put forward by the  
12 Ministry of Environment at the time, and we asked  
13 about maintaining the wilderness status of those  
14 lakes. They are the ones that was the department  
15 that had -- that had set them aside as a  
16 wilderness lake, wilderness experience.

17 And they seemed okay at the  
18 time with this to -- it was actually one of their  
19 concepts they had brought forward was to improve  
20 access to 11 Sisters.

21 MR. WILLIAMS: I kind of take  
22 exception for the word "improved" but that's  
23 neither here nor there.

24 Are you aware that Slim Lake  
25 already has five, six-pound trout. I caught two

1           myself last winter and it already provides a  
2           superb fishing experience that enhancing isn't  
3           probably isn't necessary?

4                       MR. WHELAN: I understand that,  
5           and also I understand that some of the trout from  
6           Fish Lake have already been collected from the  
7           Freshwater Fisheries Society, collected from Fish  
8           Lake incubated and grown out of the Clearwater  
9           Hatchery, and Slim Lake actually has received some  
10          Fish Lake progeny currently.

11                      MR. WILLIAMS: Thank you.  
12          That's my questions.

13                      CHAIRPERSON ROSS: Thank you,  
14          Mr. Williams. Organization? Go ahead, sir.

15                      MR. HOLMES: Little bit late.  
16          Richard Holmes. I'm with the Tsilhqot'in National  
17          Government, First Nation Government, and I have a  
18          question for Greg Smyth.

19                      In your adaptive management  
20          slide, Greg, I didn't see any sign of compensation  
21          on your graph after the mine was under way. I'm  
22          just curious to know why that wasn't put up there?  
23          A slide three, adaptive management.

24                      MR. GREG SMYTH: Was that the  
25          slide showing the increasing frequency and

1 monitoring depending on what you see?

2 MR. HOLMES: I'm curious to  
3 know why compensation wasn't on that after the  
4 mine was opened. It wasn't slide three, but  
5 somewhere in Greg's presentation.

6 MR. GREG SMYTH: I think I know  
7 the slide you are talking to. It shows the graph,  
8 it shows the dots and it has across the top. The  
9 word "compensation" doesn't appear at the top.

10 MR. HOLMES: Not at all. Of  
11 course the graph tails off as if nothing could  
12 ever happen. Just curious to know why  
13 "compensation" wasn't on that slide, that's all.

14 MR. JONES: I think this will  
15 answer your question but....

16 The mitigation that's brought  
17 to bear -- don't tend to think of that as being  
18 part of compensation element, because compensation  
19 elements are already put forward as part of the  
20 project. So the mitigation is kind of in response  
21 to an unexpected change. Am I close?

22 MR. HOLMES: Kind of. I just  
23 want to press a little bit because I'm currently  
24 involved in a compensation plan in a mine similar  
25 to this. I just thought if there is a possibility

1           that something does go drastically wrong, I'm  
2           curious to know why compensation isn't identified  
3           as adaptive management.

4                       MR. JONES: I don't see any  
5           reason why that couldn't be included in the  
6           concept, right?

7                       MR. HOLMES: That's correct. I  
8           just want to make that point.

9                       MR. JONES: Thanks.

10                      CHAIRPERSON ROSS: Thank you,  
11           Mr. Homes. Any other interested party  
12           organizations? Any interested party individuals?

13                      Then I will move onto Panel --  
14           yes, Panel questioning. My colleagues? George?

15                      MR. KUPFER: Thank you.

16                      The first one is a very simple  
17           question, and maybe because I read things  
18           differently. But on page 44 you use a picture  
19           designed for closure. And I'm just curious about  
20           your fish and fish habitat presentation.

21                      Is that particular image to  
22           scale? Is that from another source or? The  
23           reason I wondered, some of the distances don't  
24           quite look like they fit. That may just be my  
25           misunderstanding of how to read that diagram.

1 Page 44. You used it somewhere else as well.

2 That's it.

3 MR. JONES: Yes, that would be  
4 pretty close to scale. That would be based on  
5 Google image that the components superimposed on  
6 it and then kind of an artist's rendition.

7 MR. KUPFER: How close the  
8 artist was following scale. Okay, thank you.  
9 Then I have one other question.

10 If there was a serious  
11 deterioration in water quality and water treatment  
12 was required, what's involved in terms of a  
13 timeline for responding?

14 MR. YELLAND: My name is Greg  
15 Yelland, chief engineer of Taseko Mines.

16 Two scenarios around if the  
17 water quality did start trending towards water  
18 quality guidelines.

19 We looked at if it reaches 50  
20 percent of the guidelines we then would start  
21 looking at increasing monitoring. If it reaches  
22 65 percent then we would look into, okay, how are  
23 we going to actually mitigate this, what kind of  
24 water quality plant would we put in place. And we  
25 would actually put in water treatment before we

1 reach 75 percent of the guidelines.

2 We would be looking at the  
3 acceleration of the concentrations, and if we saw  
4 that the concentrations were going to reach 75  
5 percent within let's say a year, then we would be  
6 putting mitigation in right away, say we need to  
7 get it into right away.

8 But what we have said is, if we  
9 saw that the acceleration of the concentrations  
10 was at a rate that allowed four years, then we  
11 would be able to say, okay, we've got enough time  
12 to really examine what's happening out there,  
13 design a purpose-built mitigation plan and apply  
14 it before we reach 75 percent.

15 So we used four years as a  
16 example. Again, that is an adaptive management  
17 plan that we have thrown out as a concept. If we  
18 do go to permitting, we definitely would have to  
19 take a look at those adaptive management plans in  
20 consultation with regulators and First Nations.  
21 We would probably change the adaptive management  
22 plans to be something that met everybody's  
23 requirements.

24 MR. KUPFER: This is a  
25 follow-up. Is there a minimum of amount of time?

1 Is a year sufficient, six months is sufficient?

2 MR. YELLAND: It would depend  
3 on the rate of increase of the concentrations that  
4 we were monitoring.

5 MR. KUPFER: But if we assume  
6 -- let's say it's a serious rise in negative  
7 information. How quickly -- what's sort of the  
8 minimum time you might need to respond to an  
9 emerging, if it was serious?

10 MR. YELLAND: We received  
11 information from a couple of suppliers saying that  
12 they could get mobile plans into place within five  
13 weeks.

14 MR. KUPFER: And would you  
15 require more than -- I guess you can't answer  
16 that. If there were more than one location  
17 required, I guess that would all be determined at  
18 that time?

19 MR. YELLAND: More than one  
20 location for?

21 MR. KUPFER: More than one  
22 issue, I guess is what I'm saying. It's a  
23 layman's question.

24 MR. YELLAND: No problem. I  
25 think a lot of these water mitigation plants or



1 water treatment plants will mitigate against  
2 different types of metals at the same time. But  
3 we would definitely be looking at let's say  
4 sulphate increase, we would be able to get something  
5 in place fairly quickly to mitigate against that.  
6 That would be a separate module within one plant.

7 MR. KUPFER: Thank you.

8 MR. SMYTH: In the water  
9 quality presentation you discuss segregation of  
10 materials, and I want to focus in on the open pit  
11 area.

12 In the open pit area there are  
13 \$72 million tons of overburden, 12 million tons,  
14 or 17 percent that have is deemed to be PAG -- the  
15 material that sit on the ore body and some of the  
16 basalts. And that leaves you 64 million tons for  
17 construction purposes.

18 Is there a plan when you is  
19 strip the pit to segregate that material is this?

20 MR. GREG SMYTH: Yeah. Greg  
21 Smyth here.

22 There would be a detailed  
23 segregation plan for all the materials that need  
24 to be transported in one location or another, or  
25 used in one location or another.

1                   In the case of the overburden  
2                   we're referring to, one of the key aspects of the  
3                   non-PAG overburden really is for construction of  
4                   the core of the dam, and it would be used as  
5                   augmentation in the basin as well. So the short  
6                   answer is yes. Segregation of the overburden  
7                   materials is part of the plan.

8                   MR. SMYTH: Have you calculated  
9                   how much of that 60 million tons of material is  
10                  suitable for use in the core of the foundations?

11                  MR. GREG SMYTH: I don't think  
12                  we've ever done a detailed analysis of the volume  
13                  of that that would be suitable in the  
14                  documentation.

15                  MR. SMYTH: It goes to -- is  
16                  there enough material and, if there isn't, then  
17                  you'll have to open up bore pits elsewhere in the  
18                  region. That's why I'm asking the question.

19                  MR. GREG SMYTH: Fair question.  
20                  I think the magnitude of the difference between  
21                  the core volumes and the available non-PAG  
22                  overburden availability is quite different.

23                  I would have to check to  
24                  actually give you the numbers. I know that the  
25                  material balance has been actually derived through

1 the various reports within the EIS. I know we've  
2 got those tables actually in there.

3 But -- so the expectation is  
4 that obviously a large portion of that is going to  
5 be suitable for actual compaction within the core  
6 of the embankment because the core is -- it's  
7 metres wide, sort of thing, eight or 10 metres, in  
8 that range, on so it's not a large volume. The  
9 majority is obviously the shell, so it's a small  
10 over all comparison. But I'll get you the number.  
11 I think it's important to you know it.

12 MR. SMYTH: When I look -- I  
13 thought I saw 25 metres for the -- is that the  
14 core or what is the 25 metres? When I look at the  
15 embankments there was a line on top saying "25  
16 metres", and then material coming out of the side  
17 which presumably is....

18 MR. GREG SMYTH: I'm get you  
19 the right number for the crest that so I can  
20 answer your question properly.

21 MR. SMYTH: Thank you.

22 CHAIRPERSON ROSS: The  
23 Secretariat makes me say "undertaking" whenever I  
24 hear that, so I'll treat it as such.

25 Let me continue on a question

1           that George started in some fashion.

2                         You talked about using the  
3 relevant water quality objectives as a guide in  
4 your adaptive management. And that leads me to  
5 the question of your determination of  
6 significance.

7                         Why would you not determine a  
8 significant adverse effect to be one that exceeds  
9 water quality objectives?

10                        MR. GUSTAFSON: If I may,  
11 Mr. Chairman, there's a number of responses to  
12 that, but I think it's important that the Panel  
13 understand that the water quality guidelines are  
14 themselves just that, they are guidelines. They  
15 are not of any particular legislated effect.

16                        It's because water quality  
17 varies naturally area to area. So in the  
18 permitting process what the Ministry looks at are  
19 site-specific water quality requirements, which  
20 may be more or less than the guidelines call for.

21                        So the guidelines are kind of a  
22 rule of them. If you are not going to exceed them  
23 then the assumption is that you don't need to  
24 worry about them.

25                        But the Ministry actually has

1 150-page-odd policy document called the B.C.  
2 Ministry of Environment Methods for Deriving Site  
3 Specific Water Quality Objectives in British  
4 Columbia, updated in April of this year.

5 It's to that document that the  
6 parties will refer when they reach the permitting  
7 stage, and specific water quality objectives and  
8 criteria will be installed in the permit.

9 CHAIRPERSON ROSS: Will those  
10 site-specific water quality objectives be  
11 determined by the government of the British  
12 Columbia then?

13 MR. GUSTAFSON: Yes. The  
14 Ministry of the Environment in conjunction with  
15 the -- in relation to the issuance I believe of  
16 the Mines Act permit. And if it isn't that permit  
17 that would contain the specific requirements, it  
18 would be the permit under the Environmental  
19 Management Act. I'm not sure which of those two  
20 permits would contain those requirements.

21 CHAIRPERSON ROSS: That's  
22 helpful. I'm not sure it answers the question,  
23 but it certainly is very helpful, and I thank you  
24 for that. I'm going to move on then.

25 Linked to that, now I

1 understand what targets you will be using for the  
2 adaptive management response. I guess the  
3 question I have is: With a five-week lead time  
4 for putting in some form of water treatment, are  
5 there any water quality variables that could  
6 provide an early warning indicator that is not  
7 early enough? The one that may jump to mind would  
8 be declining dissolved oxygen under ice or some  
9 circumstance like that, where the change may in  
10 fact be quite quick.

11 Now, I'm not suggesting a water  
12 treatment plant deals with low dissolved oxygen.  
13 I guess I'm trying to be reassured that there is  
14 no circumstance where the monitoring and  
15 evaluation would be done in such a time as to fail  
16 to provide an early enough warning that the  
17 adaptation could can be put in place. And that  
18 would also lead to -- well, let me stop there and  
19 I'll lead to my next question after I hear the  
20 answer.

21 MR. WHITEHOUSE: I would agree  
22 with you that dissolved oxygen can be reduced  
23 rapidly in a lake and it's also under ice which  
24 makes it a little more difficult, a little less in  
25 the eye, so you really can't visualize it very

1 well.

2 Perhaps there is a realistic  
3 need to address the problem before we see a  
4 problem with dissolved oxygen. I think it could  
5 be a very valuable tool to install prior to  
6 construction myself, and I also think that it  
7 would help improve water quality of Fish Lake  
8 before the mine actually is developed. Does that  
9 answer your question?

10 CHAIRPERSON ROSS: Sorry, I'm  
11 trying to follow your response here, but it keeps  
12 jumping when I talk. You say that would be a  
13 valuable tool to install. What would be a  
14 valuable tool to install?

15 MR. WHITEHOUSE: I'm sorry.  
16 Some sort of mechanism to deal with hypolimnetic  
17 oxygen depletion. Something like a hypolimnetic  
18 oxygenation system which are in common practice  
19 around B.C., and they're effective, and they have  
20 been shown to be effective for dealing for just  
21 that problem.

22 The other reason why I think it  
23 might be valuable to have in advance is Fish Lake  
24 has already exhibited signs in the natural  
25 conditions of being a lake that can be susceptible

1 to under ice oxygen depletion and potentially  
2 winter kill of fish.

3 CHAIRPERSON ROSS: That leads  
4 to my next question which is pretty much: How  
5 frequently would you measure dissolved oxygen  
6 under ice in Fish Lake, for example? Because if  
7 you don't know what it is, you can't adapt and  
8 respond.

9 MR. WHITEHOUSE: Well, the  
10 timing of sampling is something that is under full  
11 control of Taseko. If there is any indication --  
12 as there is indication. We've seen indication  
13 that the lake exhibits under ice depletion. I  
14 believe the -- a solid monitoring program would  
15 probably be on the order of -- it's tough to say.

16 If you saw a problem you would  
17 obviously increase amounts. The timing of the  
18 winter, during the winter is important, too,  
19 because oxygen depletion reaches its maximum  
20 depletion for winter kill towards the end of the  
21 winter after the oxygen has had a chance to be  
22 used up by the microbes in the sediment.

23 So I think towards the end of  
24 the winter, certainly past January, February, I  
25 would say that you probably would want to increase



1 the rate of sampling for dissolved oxygen. All of  
2 these specifics can be ironed out after -- as a  
3 part of the whole ironing out of the adaptive  
4 management plan for Fish Lake.

5 CHAIRPERSON ROSS: I guess I'm  
6 anxious that something that could be very  
7 important is so loosely defined right now, and so  
8 I'm going to push on it, if I might.

9 Not only for dissolved oxygen  
10 under ice, which is sometimes tricky and there are  
11 some safety issues about making the measurements,  
12 one certainly doesn't want to compromise safety.  
13 But one also doesn't want to compromise the  
14 ability of an adaptive management plan to respond  
15 to concerns.

16 What would be a normal  
17 frequency for water quality monitoring more  
18 generally? I thought I heard, Mr. Jones, you  
19 indicate perhaps quarterly but -- I may have read  
20 too much into between the lines. Frequency of  
21 monitoring is the general area I would like to  
22 understand.

23 Mr. McManus?

24 MR. MCMANUS: Yes, it's an  
25 operational question that you are asking and I'm

1 operations, so I'll attempt to answer.

2 The adaptive management plan  
3 chart that Greg put up didn't have a timeline at  
4 the bottom. Well, it had a timeline but it was  
5 undefined. So those parameters, which may happen  
6 more quickly, would be determined. The monitoring  
7 program for that would be developed based on the  
8 repeatability of the perhaps change that would happen.  
9 Up to and continuing the continuous monitoring.  
10 There are devices which you can put in --  
11 depending on what you need to know. For instance,  
12 at the mine site we have tailings flow --  
13 continuous monitoring of pressures on pipes  
14 because a broken pipe can cause a change very  
15 quickly.

16 So it's not just water  
17 treatment, it's what is the mitigation you have to  
18 put in place based on what the occurrence is  
19 that's causing the problem.

20 So things can change very  
21 quickly or monitored very closely up to and  
22 including continuously. Something which may or  
23 may not happen quickly would be monitored at a  
24 lower frequency.

25 If that's any help to your

1 question. There's not a single answer to your  
2 question.

3 CHAIRPERSON ROSS: Thank you.  
4 Some of the fish enhancement -- I'm changing  
5 subjects here in case you didn't catch on.

6 Some of the fish enhancement  
7 schemes that you showed us looked -- this may  
8 sound denigrating but my purpose is just to ask a  
9 question -- look pretty temporary. They look like  
10 the first storm. I live in Calgary so I'm very  
11 familiar with big storms coming every now and  
12 then.

13 It looked like a storm event  
14 would wash out some of the mitigation measures.  
15 So I'm just looking for some information about how  
16 those habitat enhancement measures would be  
17 effective over the longer term, what size of a  
18 storm would render them less than useful?

19 MR. JONES: Just any one of  
20 them in particular, or just in general?

21 CHAIRPERSON ROSS: Once where  
22 you put logs on top of things, high water carries  
23 logs downstream. So, for example, things where  
24 you had boulders at the side of the river, a  
25 serious high flow would move them around and

1 re-distribute them. Just off the top of my head.

2 MR. YELLAND: The ones with the  
3 habitat compensation you refer to, that was the  
4 Taseko Lake off channel where they intend to  
5 develop upwards to six kilometres of off channel  
6 habitat. Those are the ones with the logs. The  
7 logs can be secured and anchored. There's various  
8 methods, guide books, provincial guide books that  
9 deal with how to secure a dead (muffled) logs in  
10 the water.

11 But the main thing for the flow  
12 for these off channel habitats using groundwater,  
13 essentially. So it's not subject to the high  
14 seasonal fluctuations like you would see with  
15 surface water in a river, in a steep gradient  
16 stream without a lake, for example.

17 So the water level in these  
18 groundwater fed channels, they rise a lot more  
19 slowly than the surface water does.

20 And as far as the other -- some  
21 of the berms we're talking about earlier on, on  
22 Haines Creek and Elkin Creek, that's the trouble  
23 with them right now is that they were built back  
24 in the forties and the berms weren't keyed in and  
25 that's why we're getting all this loss of water,

1 the seepage. So those would be designed by a  
2 geotechnical engineer and they would have to be  
3 keyed into the bottom to prevent the loss of  
4 water.

5 CHAIRPERSON ROSS: Thank you.  
6 That helps.

7 Yesterday -- I guess Saturday  
8 Dr. Morin raised questions about the  
9 concentrations of metals in pour water, citing  
10 some examples where the concentrations would be  
11 substantially higher than were estimated by you  
12 folks.

13 Can you help me to understand  
14 what kind of concentrations have been found? And  
15 perhaps the answer may be related to an earlier  
16 undertaking to provide similar information from  
17 Gibraltar, in which case I'm happy to wait for  
18 that that.

19 I see Mr. Gustafson nodding his  
20 head. So I'm taking that as a 'go away, ask your  
21 next question and move on.' In which case, thank  
22 you for my answer.

23 During operation and perhaps  
24 for sometime after that, the suggestion is that  
25 the fish habitat in Fish Creek upstream from Fish

1 Lake would be enhanced by larger flows.

2 I'm trying to figure out how  
3 these larger flows would be maintained after  
4 closure, assuming is everything goes smoothly and  
5 you are able to stop pumping. Would the flows  
6 then return more or less to the current flows, in  
7 which case, how would the enhances fish habitat  
8 persist?

9 MR. GREG SMYTH: Greg Smyth  
10 here.

11 So in identifying with the flow  
12 of augmentation would need to be in the inlets of  
13 the lake, both in the main stem as well as in the  
14 tributary one. An evaluation was done of what  
15 would be the ideal flow, and it's obviously  
16 different than what exists today because the  
17 spawning habitat in the outlet is lost so the  
18 inlets want -- has to do the job. Therefore,  
19 flows have to be different, and so the first step  
20 was to define what those flows are.

21 That sort of defined the  
22 recirculation volumes and timing and all that  
23 stuff during operations, as well as in some of the  
24 closure phases that were stipulated throughout out  
25 the EIS.

1                   We kind've broken it into  
2                   ten-year time frames to put some brackets. Then  
3                   upon closure, full closure essentially, when the  
4                   tailings facility is really in a point where there  
5                   is going to be surface flows leaving the facility,  
6                   the quality is suitable to release and that sort  
7                   of thing. That would define the volume of flow,  
8                   that would essentially move to those spawning  
9                   channels, the two inlets.

10                   The numbers that we looked at  
11                   are at the upstream catchment, as is the case now.  
12                   If we were to change the flow augmentation isn't  
13                   enough to meet those design criteria that we're  
14                   looking at in operations.

15                   We're actually looking at  
16                   putting much more flow than the catchment  
17                   generates and flows into there right now. If you  
18                   follow my thread, maybe not.

19                   CHAIRPERSON ROSS: I'm sorry.  
20                   Let's assume for the time being that everything  
21                   goes tikity-boo and at sometime you walk away.  
22                   After that, how is it that there is more flow in  
23                   tributary one and the Upper Fish Creek where the  
24                   spawning habitat would be than there is now?

25                   MR. GREG SMYTH: I'm going to

1 see if Scott actually has this, but I believe  
2 there's an expectation for recirculation in the  
3 longer term.

4 MR. JONES: I'm going to try to  
5 answer that question.

6 So your question was -- just  
7 correct me if I'm wrong was -- assuming everything  
8 works according to the plan and Taseko was able to  
9 walk away, what would maintain those additional  
10 flows? It would have to be a pump to maintain  
11 those flows. I think that's the short answer.

12 CHAIRPERSON ROSS: Thank you.  
13 I have no questions at this time. If you give me  
14 a moment.

15 At this point Environment  
16 Canada is next and I think what we would like, if  
17 Environment Canada is okay, is for it to proceed,  
18 we'll run a little late, and at the end of its  
19 presentation we'll have a break for lunch and then  
20 return for questions.

21 Is that suitable for  
22 Environment Canada? Okay. Let's do that then.

23 MR. JONES: Mr. Chairperson?  
24 Would it be okay with the Panel if we had an  
25 undertaking related to the quantity of till



1 available for when in the pit to be used in the  
2 embankments. We could address that right now, if  
3 you like.

4 CHAIRPERSON ROSS: You could do  
5 it succinctly, I take it. Yes, please go right  
6 ahead.

7 MR. GREG SMYTH: So the crest  
8 the till core is specified at 20 metres. So 20  
9 metres width is what's in the design documents.

10 The second question was about  
11 the volume of till. So I think you used the  
12 number of 60 million tons. We had cut that by a  
13 third, assume 30 percent is unsuitable, so that  
14 leaves a balance.

15 And then in the 40, 42 million  
16 range I think, tons. And then we need a little  
17 less than 20 million ton for the core of all three  
18 embankments. So there's kind of twice as much as  
19 we what need once we dismiss that third for  
20 unsuitable. That was the basis of the  
21 calculations.

22 CHAIRPERSON ROSS: Thank you.  
23 Environment Canada?

24 I understand we need to make  
25 some adaptations of the hardware around here as

1 well.

2 (DISCUSSION OFF THE RECORD)

3 CHAIRPERSON ROSS: Whenever you  
4 are ready. Go ahead.

5 MR. WRIGHT: Good morning,  
6 Mr. Chairman, members of the Panel, elders,  
7 chiefs, ladies and gentlemen.

8 My name is Steven Wright,  
9 spelled S-T-E-V-E-N, W-R-I-G-H-T. I'm the  
10 regional director for Environment Canada in the  
11 Pacific and Yukon region, and will be providing  
12 some context for Environment Canada's  
13 participation in the Federal Panel -- in this  
14 Federal Panel process.

15 Firstly, Environment Canada's  
16 team would like to thank the City of Williams  
17 Lake, and the people within whom whose traditional  
18 territory we are in today.

19 EC is participating as a  
20 federal authority and a Federal Review Panel,  
21 Panel's assessment of the New Prosperity project  
22 providing specialist and expert information and  
23 knowledge under section 20 of the Canadian  
24 Environmental Assessment Act 2012.

25 Also, EC may have a regulatory

1           role for the project as an amendment to the metal  
2           mining effluent regulations enacted under the  
3           Fisheries Act may be required.

4                       Environment Canada's final  
5           submission and our presentation are in response to  
6           the Panel's June the 21st, 2013 request to present  
7           EC's technical review of potential environmental  
8           effects of the project and to provide information  
9           and recommendations as they relate to the  
10          department's expertise and mandate.

11                      EC has provided expertise for  
12          this review in the areas of water quantity, water  
13          quality, climate change, wildlife and alternative  
14          assessments.

15                      For today's session, EC experts  
16          will be addressing water quality, water quantity  
17          and climate change. I would like now to introduce  
18          Environment Canada's team who will be  
19          participating in today's hearings.

20                      On my left is Mr. Phil Wong,  
21          who is a senior environmental assessment officer  
22          for this project. To my immediate right is  
23          Mr. Mike Hagen, who will be presenting on surface  
24          water quality.

25                      Ms. Manon Lalonde, who is

1           unable to be here in person but is on the phone,  
2           will present on surface water quantity,  
3           specifically in the areas of water balance  
4           assessment.

5                               Finally, on my extreme right is  
6           Dr. Emma Watson, who will be presenting on the  
7           subject of climate change.

8                               And with that, I will turn it  
9           over to Mr. Michael Hagen will make a presentation  
10          on water quality.

11          PRESENTATION BY MICHAEL HAGEN:

12                              MR. HAGEN: Good morning, Mr.  
13          Chairman, members of the Panel, elders, chiefs,  
14          ladies and gentlemen.

15                              My name is Mike Hagen, spelled  
16          M-I-K-E, H-A-G-E-N. I would like to thank you for  
17          the loan of the realtime transcribing output,  
18          much appreciated.

19                              I'm a senior program scientist  
20          at Environment Canada, specializing in water  
21          quality and aquatic effects monitoring. I will be  
22          speaking to you today about the potential effects  
23          of the proposed project on water quality,  
24          specifically highlighting uncertainties and risks  
25          that we have identified and how these

1           considerations inform our conclusions regarding  
2           potential effects.

3                           General comments about how we  
4           approach this. Environment Canada possesses  
5           expertise regarding water quality effects of  
6           potential development and we are asked to provide  
7           advice in that area during the EA process.

8                           During the EA process we look  
9           at the magnitudes, the extent and duration of  
10          potential project impacts that may affect the use  
11          of (muffled) the potential for adverse effects.

12                          The way we do this is can be a  
13          fairly straightforward approach.

14                          First, we would scrutinize  
15          baseline data quality. Fact (muffled) the natural  
16          variability, sampling variability, potential for  
17          analytical errors may accept the use of baseline  
18          data in data -- in water quality modelling and,  
19          therefore, the confidence that we have in the  
20          conditions that were made. Same for inputs.

21                          Input to data quality modelling  
22          may be variable, so we will scrutinize water  
23          quality modelling assumptions and put terms.  
24          We'll ask: Are there discrepancies? Are there  
25          oversights? Are there alternate interpretations?

1 Are proposed mitigation and management practices  
2 likely to be successful? Are assumptions  
3 reasonable? And when considering output I very,  
4 very much rely on the opinions of other experts to  
5 get their advice about the inputs to the model.

6 Next. Recognizing that in  
7 general terms modelling tends to be conservative.  
8 At the start we can take predictions at face value  
9 and ask if there are potential for significant or  
10 for adverse effects on that basis. We do that by  
11 comparing to guidelines such as the Canadian  
12 Council of Minister of Environment, Canadian  
13 Environmental Quality guidelines, other guidelines  
14 such as B.C. Ministry Of Environment Water Quality  
15 Criteria, and also based on our experience at  
16 other sites.

17 A key part of this process is  
18 to identify uncertainties to determine what level  
19 of confidence we have. And in end, keeping in  
20 mind the magnitude, duration and extent of the  
21 potential impacts, we can advise whether an  
22 adverse effect is likely, not likely, or in some  
23 cases, we advised that we do not have sufficient  
24 information to come to a conclusion.

25 I just want to re-visit the

1 previous summary conclusion of the Panel from  
2 2010. In the previous review, we did not have  
3 Fish Lake, so our attention was on Lower Fish  
4 Creek and the Taseko River.

5 The proponent at that time made  
6 commitment to ensure that the water quality  
7 downstream of the pit area by using the good  
8 management practices that many agencies promote.  
9 At that time it seemed reasonable and achievable.

10 Hence, our conclusion that no  
11 significant deleterious (ph) effects on water  
12 quality were expected if the Proponent follows the  
13 good management and water management practices.  
14 Good way to manage (muffled) identified.

15 Now, with respect to lower Fish  
16 Creek and, to a lesser extent, the Taseko River,  
17 we hold to that previous conclusion.

18 The Proponent once again  
19 commitments to water treatment at the outlet of  
20 the Pit Lake, if necessary. Environment Canada is  
21 of the view treatment will almost certainly be  
22 needed and needed indefinitely.

23 Still, the Proponent's making  
24 that commitment and they are able to achieve it --  
25 seems reasonable that there should not be

1 significant adverse deleterious effect on water  
2 quality downstream of the pit area, with some  
3 caveats.

4 The main caveat there would be  
5 the question about seepage that has been discussed  
6 recently. For example, the seepage greater than  
7 the estimated, then contaminant loading could be  
8 higher and that could affect the magnitude of  
9 effects in the Taseko River, could be a little  
10 uncertain whether Taseko could, in fact, achieve  
11 their objective.

12 But now the New Prosperity Fish  
13 Lake part of the project, we presume that there is  
14 no point preserving Fish Lake water quality is not  
15 also preserved.

16 Given some inconsistencies in  
17 this EIS, some uncertainty regarding seepage from  
18 the tailings storage facility, the unproven nature  
19 of some of the water recirculation and some of the  
20 treated -- proposed treatment methods we are  
21 unable to draw conclusions about the Proponent's  
22 ability to maintain good water quality in Fish  
23 Lake.

24 And now I'll explain a little  
25 bit how we came to that.



1 Focusing on Fish Lake lake now.  
2 Clearly Fish Lake is a focus of this environmental  
3 assessment. Fish Lake was not assessed in the  
4 same way by presenting the same discussion  
5 technical depth as with the area lakes. Appendix  
6 2.7.2.1-I only presents results in chart form.

7 The EIS itself discusses the  
8 background, but that discussion is incomplete. In  
9 the appendix, those charts do not present some  
10 substances of parameters. For example, hardness,  
11 pH, temperature, nitrite. Those are all of  
12 interest to Environment Canada.

13 Still, let's take those results  
14 predictions at face value. Many parameters are  
15 predicted to be under guidelines -- increased from  
16 baseline, but some are apt (ph) or inferior to  
17 guideline level, such as aluminum, silver, copper.

18 And some are predicted to  
19 exceed guideline levels, cadmium, iron,  
20 phosphorus, selenium.

21 Our concern at this point is  
22 there may be additive or synergistic effects from  
23 these levels, multiple levels, being close to  
24 guidelines. The margin for error is a little bit  
25 less, if we have a number of parameters that are

1 close to guidelines.

2 We also note that both sodium  
3 and chloride increase. There is a CCME water  
4 quality guidelines for selenity which is a 10  
5 percent increase over baseline, and that appears  
6 to be exceeded.

7 Based on the predictions, we  
8 conclude that prediction levels are marginal for  
9 good water quality. They are likely to lead to  
10 changes in the aquatic community which may or may  
11 not be adverse.

12 One know other factor that we  
13 see here is that mercury is predicted to decrease,  
14 and this is interesting and somewhat unexpected.  
15 In our experience, land clearing and run off  
16 disturbance in general tends to increase total  
17 mercury in receiving waters that are disturbed.

18 We also find that an increase  
19 hydraulic resonance tying (ph) the lake, which the  
20 Proponent is predicting will happen, increase  
21 sedimentation that is associated with that.  
22 Increase the productivity as the Proponent  
23 predicts eutrophication and treat biological  
24 productivity in the lake. Mercury methylation  
25 becomes more likely.

1                   This may have an implication of  
2 fish and Fish Lake are larger, possibly older, as  
3 appears to be suggested in the environmental  
4 impact statement. The question becomes whether  
5 there is going to be more methyl mercury  
6 accumulation.

7                   The EIS did not discuss  
8 possible changes to total mercury and methyl  
9 mercury ratios deriving from altered methylation  
10 potential or to potential changes in fish  
11 population.

12                   While this is not (muffled) by  
13 Environment Canada's area of expertise, we are  
14 concerned about the potential for human health  
15 effects may be insufficiently addressed.

16                   We're aware that Health Canada  
17 is interested in methyl mercury from a food  
18 perspective and perhaps they will be speaking to  
19 this issue. But from Environment Canada's  
20 perspective, although decreasing -- well,  
21 decreasing mercury is somewhat contrary to our  
22 experience and it suggests some uncertainty in the  
23 water quality modelling.

24                   Another factor that we look at,  
25 one of the reasons why the predictions may be

1           somewhat uncertain, is the seepage issue that has  
2           been discussed.

3                               From our perspective, or from  
4           my perspective directly, inputs to water quality  
5           models have set confidence in outputs. Seepage  
6           from the tailings storage facility is greater than  
7           estimated, that could affect the concentrations  
8           and the predictions that are being made. It could  
9           more marginal than predicted. It could mean more  
10          aggressive management is needed. And that could  
11          mean more uncertainty whether those method could  
12          be successful.

13                              So we see an increased  
14          uncertainty in a higher level of intervention.  
15          Greater uncertainty and also seepage is not  
16          conservative. It raises questions about other  
17          inputs to the water quality model, and (muffled)  
18          that overall confidence in the predictions that  
19          are being made.

20                              I'll be addressing lake  
21          circulation and water treatment in the next two  
22          slides.

23                              Now, in terms of lake  
24          circulation measured by the Proponent. The  
25          Proponent found few of any examples of successful

1 application of lake recirculation as they  
2 proposed. Environment Canada conducted literature  
3 search and found considerable information about  
4 recirculating aquatic systems which may provide  
5 some insight into the general success of lake  
6 recirculation. We do not have much expertise in  
7 this area and defer to other agencies which we  
8 know have submitted a more detailed report, but we  
9 can make some general comments.

10 In general, in a recirculating  
11 aquatic system nutrients and other contaminants  
12 tend to accumulate. We see this in the water  
13 quality predictions that are made, in particular  
14 phosphorus and nitrate are predicted to increase.  
15 Also the Proponent discusses the need for nutrient  
16 management.

17 We also see the increasing  
18 levels of sodium and chloride and suggesting  
19 selenity increases which would be expected in a  
20 recirculating system.

21 So from our perspective,  
22 Environment Canada is concerned that high levels  
23 of management at ever increasing levels of  
24 complexity also increase uncertainty and risk.

25 Regarding the treatment

1 options. Again, other agencies have commented on  
2 the Proponent treatment options. We do not have a  
3 great deal of expertise in technological  
4 development management options, but in our  
5 experience increasing levels of management  
6 intervention also increase levels of uncertainty  
7 regarding whether the actions will be effective  
8 and behave as expected. Ecosystems are complex.  
9 Complex intervention is risky.

10 The Proponent proposes a high  
11 level of reactive management into adaptive  
12 management plan and includes many options that are  
13 relatively untried or unproven that the scale  
14 proposed.

15 Other agencies commented on the  
16 uncertainty of achieving better (ph) results.

17 In our view, while the  
18 Proponent may be able to achieve satisfactory  
19 water quality using this method, it would be at a  
20 high level of uncertainty about effort, cost and  
21 risk.

22 Now, I'll make some comments  
23 about the other lakes in the area, and some of the  
24 comments I make about these other lakes also  
25 pertain to Fish Lake.

1 Little Onion Lake. Baseline on  
2 the water quality is good, reflective, a  
3 productive lake. The Proponent predicts  
4 essentially no changes to water quality in Little  
5 Onion Lake.

6 We note, however, that Little  
7 Onion Lake is upstream of Big Onion Lake and only  
8 about 1500 metres downstream of the tailings  
9 storage facility. The Proponent asserts that  
10 tailings storage facility pour water does not  
11 contribute to groundwater base flow into Little  
12 Onion Lake. We question this assertion, does seem  
13 probable based on our experience at other sites  
14 and reduces our confidence of the water quality  
15 predictions made by the Proponent.

16 Big Onion Lake is similar to  
17 Little Onion Lake in the initial water quality  
18 reflect the productive lake. After operation  
19 there's very little change, although some  
20 parameters are elevated. In contrast to little  
21 Onion Lake, TSF seepage it predicted, although  
22 there are inconsistencies in the EIS and the  
23 appendix that describes this.

24 I would like to highlight the  
25 risk of selenium effects at this point.

1                   With respect to selenium, there  
2                   is a small range between the central nature of  
3                   selenium and the toxic level which could only be a  
4                   little bit higher. Small range there. At higher  
5                   levels, selenium may cause reproductive failure in  
6                   pregnant or (muffled) at critical life stages.  
7                   There seems to be a poor correlation between water  
8                   concentration and tissue residue levels which  
9                   cause effects. In other words, water  
10                  concentration would be a poor indicator of  
11                  potential effects.

12                  The key point we want to make  
13                  here, though, is that in our experience selenium  
14                  concentrations have been increasing at other sites  
15                  with little demonstrative ability of operating at  
16                  those sites to control the trend (ph).

17                  First, the long term success of  
18                  treatment options have yet to be determined.  
19                  Though, again, we conclude -- we see a high  
20                  uncertainty regarding selenium, and then for other  
21                  subjects that are little bit better understood.

22                  Wasp Lake is not strictly  
23                  speaking in the Fish Lake watershed. It's in the  
24                  Beece Creek watershed. So it shows that this  
25                  could be some effects of the mine project out of



1 the Fish Lake watershed.

2 Baseline water quality in Wasp  
3 Lake is good, reflects productive lake. The  
4 Proponent predicts essentially no change in water  
5 quality and -- that's not true. I went back in my  
6 slides instead of forward. I apologize. Wasp  
7 Lake is up there.

8 At closure, peak conditions in  
9 Wasp Lake, hardness has increased from 100 to  
10 about 1,000 milligrams per litre. Phosphate (ph)  
11 predicted to increased from one to about 1,000  
12 milligrams per litre. Nutrients predicted to  
13 increase by about 10 percent, except for ortho  
14 phosphate, which would be a bioavailable form of  
15 phosphate predicted to increase about a thousand  
16 times suggesting eutrophication is likely.

17 Aluminum, arsenic, cadmium,  
18 copper, iron, mercury, selenium, silver, all  
19 exceeding guidelines by 5 to 10 times or more.

20 Aquatic community changes  
21 likely; possibly adverse in a situation like this.

22 We also note a number  
23 discrepancies between the EIS and the appendices  
24 that reduce confidence in predictions. The  
25 seepage discrepancies that were noted reduce our

1 confidence in predictions.

2 Low confidence means high  
3 uncertainty, means more risk. But in this case,  
4 Wasp Lake is non-fishbearing. It is only a small  
5 part of the Beece Creek watershed. Perhaps in  
6 this case the level is acceptable.

7 Next slide. Last slide. In  
8 Environment Canada's view, we note that the  
9 Proponent predicts Fish Lake will experience  
10 eutrophication and contamination as the project  
11 proceeds.

12 The Proponent asserts that  
13 active management will preserve the value of Fish  
14 Lake. Environment Canada notes that these  
15 practices are unproven as that scale proposed.  
16 Additional intervention may be needed to ensure  
17 preservation of water quality in Fish Lake.

18 Given the degree of  
19 uncertainty, Environment Canada is unable to draw  
20 any conclusions regarding the likelihood or  
21 magnitude of the effects of the project on water  
22 quality.

23 Thank you for your attention.

24 CHAIRPERSON ROSS: Thank you,  
25 Mr. Hagen. Do you wish to proceed with the next

1 phase of your presentation?

2 MR. WRIGHT: Mr. Chairman, we  
3 have two more presentations to go. Would you  
4 prefer we do the three, or do you want to take  
5 questions and then....

6 CHAIRPERSON ROSS: If this is a  
7 suitable time, perhaps a break for lunch would be  
8 in order.

9 MR. WRIGHT: I think the next  
10 two presentations complement each other, so  
11 perhaps now might be useful.

12 CHAIRPERSON ROSS: That sounds  
13 fine. Why don't we reconvene at 1:15. Better  
14 yet, we will reconvene at 1:15.

15 --- Recessed at 12:20 p.m.

16 --- Upon resuming at 1:15 p.m.

17 CHAIRPERSON ROSS: Good  
18 afternoon, ladies and gentleman. Just before we  
19 return I have an important announcement to make.  
20 The word "important" was inserted by me in humour.  
21 On our right we have a bottle of water now  
22 available. If you have your own cup especially  
23 you're welcome to use it. If you don't have your  
24 own cup, we do provide some paper cups, and the  
25 idea is to reduce the use of plastic bottles.

1                   Of more substance, the plan is  
2 Environment Canada is to first question Mr. Hagen  
3 and then we have the other two presentations which  
4 we understand are somewhat linked.

5                   So at this point I would turn  
6 to other Government of Canada folks who might have  
7 questions for Mr. Hagen and Environment Canada.  
8 Seeing none, I will move on to First Nations  
9 interested parties who might have questions. If  
10 you do have questions for Environment Canada --  
11 Mr. Pearse.

12 QUESTIONS BY MR. PEARSE:

13                   MR. PEARSE: Thank you. I'd  
14 first like to thank Mr. Hagen for this portion and  
15 all Environment Canada for their written  
16 submissions. I think most of my questions are for  
17 Mr. Hagen. I will try and weed those ones out if  
18 I stray. I'm sure somebody will let me know. The  
19 first question I have for you is: As a water  
20 quality scientist do you believe having multiple  
21 stressors would result in increased impacts? I  
22 know you talked about the synergistic effects in  
23 your report but I'd just like you to kind of  
24 clarify that, if you would.

25                   MR. HAGEN: The question is

1           regarding multiple stressors in the system, I'm  
2           presuming you mean if these stressors are all at  
3           guidelines level or near guideline levels, so  
4           multiple stressor.

5                         In a case like that we could  
6           have synergistic or additive or even antagonistic  
7           effects operating. In general terms, additive  
8           effects are where the effects of each parameter or  
9           substance would be added together.

10                        A synergistic effect would be  
11           when the combination of the substances is greater  
12           than the whole so-to-speak. And antagonistic is  
13           when the concentration of the substance is  
14           interfering with the higher concentration of  
15           another substance, so the total effect is lower  
16           than if separately.

17                        In general terms, looking at a  
18           specific combination of substances in a specific  
19           area would be very difficult to say what might  
20           happen and, in fact, that's one reason why we're  
21           quite concerned about a situation like that. We  
22           would do a site specific water effects or aquatic  
23           bioassay approach to see what effect mixtures  
24           have.

25                        So that would be the

1 recommendation that we would in a case like that.  
2 If we have a mixture of a number of substances  
3 that are at guidelines and it's a concern, you do  
4 a specific bioassay approach to try to find out  
5 what the effect of those mixtures would be.

6 MR. PEARSE: Thank you. At  
7 several places throughout your presentation this  
8 morning you talked about not having enough  
9 information which led to uncertainties about what  
10 you could conclude, I think, if I understood you  
11 correctly.

12 And on page 5 of your  
13 submission there's particular reference to the  
14 details of the water quality model for Fish Lake  
15 concentrations, and that's an issue that we have  
16 raised before. We are in the same boat. So I  
17 wanted to ask you: On the basis of that, were you  
18 able to assure yourself that the SRK water quality  
19 modelling for Fish Lake had sufficient information  
20 to say, to validate it basically, or were you left  
21 in a position of just not being able to do that?

22 MR. HAGEN: Slide 5 is --

23 MR. PEARSE: The code was  
24 details could not be located. That's what you're  
25 looking for.

1 MR. HAGEN: One moment, while  
2 we take a look at the slide in question.

3 Mr. Pearse, do you not mean  
4 slide 4, which is the slide that directly  
5 addresses Fish Lake water quality?

6 MR. PEARSE: It may be there.  
7 I was looking at the written report, page 5. It's  
8 right at the bottom of page 5 you say that those  
9 details could not be located.

10 MR. HAGEN: Okay. What Mr.  
11 Pearse appears to be referring to is the lack of  
12 documentation in appendix it 2.7.3.1(i), which I  
13 referred to in my presentation. That appendix  
14 just shows the results of water quality modelling  
15 in figure form in charts. There are no tables and  
16 there's very little description of how the model  
17 was actually derived. I believe the Proponent put  
18 a summary of that into the EIS but we found it to  
19 be a bit incomplete.

20 So to respond to Mr. Pearse's  
21 question whether we found it adequate to come to a  
22 judgment, no we didn't.

23 MR. PEARSE: I think you're  
24 saying what I asked. What I was looking for was I  
25 really wanted to know whether you were able to

1 evaluate the model, and that may be the same  
2 thing, I'm not sure, but if it's not, if you could  
3 answer that question, I'd appreciate it. Thank  
4 you.

5 MR. HAGEN: Okay. I  
6 understand. It's a bit difficult to approach it  
7 in those terms. We do not have a great deal of  
8 experience in actually creating a water quality  
9 model. We tend to take these things at face  
10 value, but we can - and do try - to appreciate the  
11 uncertainty that go into the inputs, and recognize  
12 the uncertainty that may be coming out of the  
13 model, and I believe we've done that. I indicated  
14 that there were some uncertainties.

15 MR. PEARSE: Maybe this will  
16 help a bit. I assume you looked at the Knight  
17 Piesold model for the other areas around Fish  
18 Lake?

19 MR. HAGEN: We did.

20 MR. PEARSE: You found  
21 sufficient information in that model, in terms of  
22 a model report and so on, that enabled you to  
23 evaluate the model, look at the assumptions, the  
24 input parameters and say that's a good model or  
25 whatever, right?



1 MR. HAGEN: Yes, the  
2 information that was provided in the Knight  
3 Piesold appendix was such is that we have more  
4 confidence in the model prediction.

5 MR. PEARSE: Given the  
6 uncertainty around your assessment or what you  
7 found about the SRK model for Fish Lake, where  
8 does that take you when you look at the Tritan  
9 model that takes that information that model  
10 outputs and tries to predict impact to the aquatic  
11 life in Fish Lake?

12 What is your level of certainty  
13 about how good and reliable the Tritan study is?

14 MR. HAGEN: I'm sorry, Mr.  
15 Pearse, could you repeat that, please? It didn't  
16 come up on the transcript.

17 MR. PEARSE: Model number 2,  
18 the Tritan model, as I understand it, takes the  
19 outputs from the SRK model with the water  
20 concentration and puts that in another model to  
21 take about biological effects? Do I have that  
22 right?

23 MR. WRIGHT: Mr. Chairman,  
24 we're having trouble here. Can we have a moment  
25 to try and fix it?

1 CHAIRPERSON ROSS: Certainly.

2 Let's try to fix it if we can.

3 MR. PEARSE: That model takes  
4 the SRK water quality results and uses those as  
5 input to that Tritan model, as I understand. Is  
6 that correct?

7 MR. HAGEN: I'm not sure on  
8 that point.

9 MR. PEARSE: Maybe we could get  
10 a quick confirmation from Tritan, because I want  
11 to finish this off.

12 CHAIRPERSON ROSS: Why don't  
13 you proceed with the next question, which seems  
14 more important.

15 MR. PEARSE: Okay. So, Mr.  
16 Hagen, what I'm asking is you've expressed some  
17 significant uncertainty about the SRK model  
18 because you didn't see all the data and  
19 discussion, and my understanding is that the  
20 Tritan model is based on the SRK.

21 So if you don't have good  
22 assurance on that what would you say about your  
23 confidence in the Tritan model, which really talks  
24 about the effects of biological life in Fish Lake,  
25 which is, I think, the critical piece?

1 MR. HAGEN: You are getting to  
2 one of the crux issues here, if we have  
3 uncertainty we don't have confidence in  
4 projections made and until we can address that and  
5 come to a consensus about what's happening in the  
6 model, then our confidence is not high enough to  
7 make a lot of judgment about what is happening.

8 MR. PEARSE: That's for Tritan  
9 as well as the others? If we can look at page 15  
10 of the written submission -- page 10 of the  
11 written submission.

12 I just wondered, you note that  
13 there are some exceptions in the trends of various  
14 parameters and water quality looking at the graph  
15 that you got on page 10, some things go up and  
16 some down and you talked about mercury and  
17 selenium and sulphate. I'm wondering if you have  
18 any kind of explanation about why you would expect  
19 to see some things going up, some going down, in  
20 terms of water model?

21 CHAIRPERSON ROSS: Perhaps it  
22 would be worth while to take 5 minutes and see if  
23 we can make those work. So let's try that and  
24 we'll try to reconvene in 5 minutes.

25 --- Recess taken at 1:38 p.m.

1 --- Upon resuming at 1:45 p.m.

2 MR. PEARSE: On page 10 of your  
3 written submissions you talk about -- that's your,  
4 I think, presentation. I'm on different page.  
5 The written submission.

6 MR. HAGEN: I believe you were  
7 referring to the figure on page 10 so we pulled it  
8 up.

9 MR. PEARSE: I was referring to  
10 the text below the figure, but the text says --  
11 you just talk about how different elements, some  
12 are going up and some decreasing over time,  
13 mercury decreasing over time, and my question  
14 really was: Is there an explanation about why  
15 those contradictory trends might be happening?

16 MR. HAGEN: I guess the  
17 question is, first of all, these lines on the  
18 graph are the Proponent's predictions, and we're  
19 just taking them at face value to start with and  
20 we'll note some increases and decreases. Are  
21 there explanations for those? It would depend on  
22 how the model is working, whether the inputs are  
23 correct, and I guess the appropriate thing to say  
24 about it right now is that if there are  
25 discrepancies identified our confidence in that

1 would be a little less. So even if we could  
2 explain why it was happening we may not have the  
3 confidence to really say that that was the real  
4 reason.

5 So there would need to be more  
6 dialogue and come to a consensus about whether  
7 those uncertainties can come down smaller and be  
8 more confident about that.

9 MR. PEARSE: For your  
10 recommendation number 1 you talk about, "the  
11 Proponent should provide the details of the  
12 modelling", and I guess a couple of questions from  
13 that; one is, I'm not sure who you're recommending  
14 that to, if that's a recommendation to the  
15 Proponent, but I think how would that fit into the  
16 Panel's deliberation in terms of is this a  
17 recommendation that should be done tomorrow or  
18 done down the road?

19 If you could explain how that  
20 recommendation would help the Panel.

21 MR. HAGEN: In an environmental  
22 assessment process there is this back and forth  
23 interaction with various parties and stakeholders  
24 where they're trying to come to an understanding  
25 with the assumptions and the way things are

1 working and eventually reach a consensus and  
2 understanding and lower the uncertainty about what  
3 the prediction means. So that kind of back and  
4 forth is an integral part of the EA and how we  
5 make it happen is -- I'm not sure I can say a lot  
6 about that.

7 MR. PEARSE: Thank you for  
8 that.

9 There's been discussion over  
10 the past few days and in the submission about the  
11 rates of seepage from the impoundment, and let me  
12 ask you this: If the seepage rate was an order of  
13 magnitude larger than what the Proponent predict,  
14 what would you expect to see reflected in the  
15 water quality concentrations, given that increased  
16 - for Fish Lake - given that increased seepage  
17 rate?

18 MR. HAGEN: Okay. Two points  
19 in response to that question; the first is, using  
20 the example of seepage we're talking about the  
21 Proponent's numbers, NRCan's numbers, the Panel's  
22 independent consultant's numbers, having some  
23 discussion back and forth, and there does seem to  
24 have been a convergence of opinion on what  
25 happened, and I believed the Proponent may have

1           agreed to re-do the model using a more  
2           conservative set of numbers.

3                           And the second part of that  
4           response is what would I expect to see if seepage  
5           is increased? Well, I want to see it in the  
6           modelling rather than just speculate on what those  
7           might be.

8                           MR. PEARSE: Given an order of  
9           magnitude increase in the seepage rate, you would  
10          have no professional sense of what you might  
11          expect to see in the results? You wouldn't know  
12          or...

13                          MR. HAGEN: I really don't want  
14          to go further than to say a seepage an order of  
15          magnitude higher, there would be an increase in  
16          concentration in the lake. It would very much  
17          depend on the proportion of seepage in total input  
18          or loading to the lake.

19                          So that's why we have a model,  
20          and with those numbers adjusted perhaps come to a  
21          better idea with more certainty and confidence  
22          about what the model is predicting.

23                          MR. PEARSE: The issue of  
24          distance from the impoundment to the lake, whether  
25          close or 2 kilometres away, how does that affect

1 the ultimate concentration in the lakes? Is  
2 distance a factor?

3 MR. HAGEN: I think that's more  
4 NRCAN's expertise rather than mine. So I could  
5 pass it over to them but, in general terms, a  
6 longer distance, a longer time for seepage reach  
7 and potentially -- I should stop there. It's not  
8 really my area of expertise.

9 MR. PEARSE: Thank you, Mr.  
10 Hagen.

11 In your literature review I  
12 uncovered a few examples of sort of lake  
13 recirculation. Were there any examples that you  
14 found where the complete out flow of the lake was  
15 recirculated back into the upper end?

16 MR. HAGEN: No, we did not find  
17 examples of recirculating a lake. We did find  
18 examples in the literature research of aquatic  
19 systems, which are, perhaps, similar to the case  
20 that the Proponent is proposing.

21 So looking at those examples as  
22 a way of informing the idea of how this might be  
23 or not effective mitigation.

24 MR. PEARSE: I'm not sure if  
25 this is a question for you, but I assume someone



1 has looked at the proposal by Biotech, which is  
2 the company's plan for treating the water that  
3 will be recirculated? Have you reviewed that  
4 proposal?

5 MR. HAGEN: Yes. Well, I did  
6 look at that report and maybe not in enough detail  
7 to go into detailed comment about it. But I'd  
8 also noticed that one of the other, one of the  
9 Ministries, the B.C. Ministries submitted a report  
10 on that which I thought was quite good.

11 MR. PEARSE: Thank you. On  
12 page 12 of your written submission you used the  
13 term, "Additional intervention to ensure success."  
14 I was looking trying to find it here and now I  
15 can't, but I think it's on this page somewhere.  
16 What did you have in mind about the additional  
17 intervention? Are there specific examples that  
18 you are thinking of there?

19 MR. HAGEN: No, no specific  
20 examples, but the meaning of that term is just the  
21 general appreciation that as management becomes  
22 more complex, the implications or the consequences  
23 that management may be unexpected which would  
24 trigger contingency plans which may be more  
25 complicated and you get this feedback loop.

1                   So it really goes to the  
2                   question of uncertainty about the level of  
3                   management. And the flip side is that less  
4                   management is more predictable, perhaps, and has  
5                   more certainty.

6                   MR. PEARSE: Thank you. Now,  
7                   recommendation number 2 is at the bottom of that  
8                   page and, again, what you're recommending here is  
9                   the Proponent should conduct peer-reviewed  
10                  research into the implications of recirculating  
11                  water.

12                  Back to my old question about  
13                  the timing of this, who and when and how would  
14                  that recommendation help the Panel figure out how  
15                  to deal with this?

16                  MR. HAGEN: Okay. The crux of  
17                  that recommendation was to highlight there is some  
18                  uncertainty in whether this would work and ideally  
19                  would have more information about it, and we feel  
20                  that the decision is up to the Panel to determine  
21                  how that information will be gathered.

22                  MR. PEARSE: Thank you. I'm  
23                  going to jump ahead quickly to recommendation 3.  
24                  I think probably it's a similar kind of response,  
25                  but there you are talking about the nano

1 filtration of the Biotech proposal and you're  
2 again recommending further research ought to be  
3 done and I assume you're going to give me the same  
4 response about how that works for the Panel?

5 MR. HAGEN: That's right, yes.

6 CHAIRPERSON ROSS: The Panel is  
7 getting anxious about the clock ticking, so if you  
8 could shorten some of your material, that would be  
9 appreciated.

10 MR. PEARSE: I'm taking a bit  
11 of time to do that. Just trying to weed stuff  
12 out. Thank you.

13 Page 16, talking about Big  
14 Onion Lake, selenium concentrations long term  
15 increasing, presumably; does it reach a  
16 steady-state or are the increases just off into  
17 the future?

18 MR. HAGEN: I don't really want  
19 to get into the actual numbers and how fast  
20 they're increasing.

21 The point of this page and  
22 comment was to draw attention to the discrepancy  
23 between the EIS and it's appendix, and that would  
24 be cause for some uncertainty in trying to  
25 interpret this.

1 MR. PEARSE: A question about  
2 Wasp Lake, and in that section at page 18 you talk  
3 about that the MMER's actually talk about seepage  
4 as a waste, which I assume it's not legal to  
5 discharge waste?

6 I guess my real question about  
7 that is: How would the MMER's be implemented to  
8 deal with seepage that doesn't meet guidelines?  
9 How does that work?

10 MR. HAGEN: This section of our  
11 plan is more to treating the figure of 50 cubic  
12 metres per day which will capture a mine under the  
13 MMER.

14 So what we were saying here is  
15 that given the amount of seepage expected or which  
16 could have come from the tailings storage  
17 facility, the mine may be subject to the MMER and  
18 it's requirement.

19 MR. PEARSE: Sorry, just to be  
20 clear, so I understand this, the amount of seepage  
21 would be regulated; is that what this is saying?

22 MR. HAGEN: No, not the amount,  
23 but if that amount is greater than the threshold  
24 that is in section 2, then the operation becomes  
25 subject to the MMER, which means it has to meet

1 the requirements specified in the MMR.

2 MR. PEARSE: I'm getting almost  
3 to the end, Mr. Chairman.

4 We've heard some discussion  
5 from the company about the ability to respond  
6 fairly rapidly to intercept waters that may --  
7 where concentrations are going up, and I would  
8 like to ask you what your sense is as to how  
9 quickly water concentrations could escalate and  
10 whether it's -- well, the idea is whether the  
11 mitigation could be implemented or whether  
12 concentrations could increase fairly rapidly? If  
13 you could comment.

14 MR. HAGEN: Can you clarify,  
15 are you talking about the concentrations in  
16 seepage water or the concentration in the lake?

17 MR. PEARSE: In the lake.

18 MR. HAGEN: Okay. The  
19 question, then, is how confident are we that the  
20 Proponent could respond rapidly to increasing  
21 concentrations in the lake and I think all I can  
22 say is we would identify that as an area of  
23 uncertainty. We're not sure.

24 MR. PEARSE: Let me -- I think  
25 what I was getting at was the collection wells and

1 will they detect -- assuming that they could  
2 monitor and detect seepage coming from the  
3 tailings impoundment how quickly could things be  
4 installed and fixed. And that may be a question  
5 you can't answer.

6 MR. HAGEN: It's not my area of  
7 expertise, but does sound like a question that  
8 NRCan could address and a hydro geology  
9 perspective.

10 MR. PEARSE: I assume  
11 concentrations in the water quality to increase  
12 fairly quickly in a matter of days? Weeks?

13 MR. HAGEN: They certainly can  
14 increase quickly if inputs are large enough and  
15 the receiver is small enough, but without having  
16 the numbers in a model it's not really much point  
17 in talking about it.

18 So this is really why we want  
19 to have confidence in the model and what the  
20 predictions are.

21 MR. PEARSE: Thank you, Mr.  
22 Hagen. I'm done. Thank you, Mr. Chairman.

23 CHAIRPERSON ROSS: Any other  
24 First Nations interested parties? Any other  
25 interested party organizations? Any interested

1 party individuals? Taseko?

2 QUESTIONS BY GREG SMYTH:

3 MR. SMYTH: We just have a  
4 couple of questions, Mr. Chairman. Hi. Thanks  
5 for the presentation.

6 I just had one question of  
7 clarification, actually, and it goes back to  
8 some -- it was about the discrepancies between the  
9 table, and I just wanted to clarify the numbers  
10 for Big Onion Lake, Wasp Lake and Fish Lake.  
11 There was a number of discrepancies between what  
12 was in the appendix of the water quality and what  
13 was reported in the EIS, and you're asking for  
14 clarification about those apparent discrepancies,  
15 is that correct?

16 MR. HAGEN: Yes, that's  
17 correct.

18 MR. SMYTH: Are those the only  
19 discrepancies that you're looking for  
20 clarification on?

21 MR. HAGEN: Well, there are a  
22 number of discrepancies, as we've noted, and I  
23 think the point of pointing them out is just to  
24 have some sort of interaction and some dialogue  
25 and an explanation for the discrepancy, and maybe

1 if we have that, then those discrepancies become  
2 resolved, and that gives us more confidence and  
3 certainty about the way things are working.

4 MR. SMYTH: Okay. Thank you  
5 for that.

6 CHAIRPERSON ROSS: Should I  
7 infer an undertaking of resolving those  
8 discrepancies?

9 MR. JONES: I think that would  
10 be a great inference.

11 CHAIRPERSON ROSS: Thank you.  
12 Any other questions at this time?

13 MR. JONES: I now have a  
14 question, who has the undertaking? Sorry, I would  
15 think we would take on the undertaking to deal  
16 with these ones specifically.

17 CHAIRPERSON ROSS: That was my  
18 assumption as well.

19 QUESTIONS BY SCOTT JONES:

20 MR. JONES: Our question was:  
21 Are there other discrepancies above and beyond  
22 these driving this uncertainty in the outcome?

23 Maybe if I could elaborate.  
24 We've only seen this document from Environment  
25 Canada within the last seven days, so just want to



1 make sure if we take an undertaking that we deal  
2 with it completely.

3 MR. HAGEN: I think if you look  
4 at our written submissions we probably detailed  
5 most of the discrepancies in there. So if you  
6 start with that, certainly that's a great start.

7 MR. JONES: Thank you.

8 QUESTIONS BY DYLAN MACGREGOR:

9 DARYL MACGREGOR: Dylan  
10 MacGregor. Thank you for your presentation.

11 I just have one quick question,  
12 and it's related to the response that Taseko  
13 presented to the Panel's information request 16,  
14 and for the Panel's benefit, that is registry  
15 document 400. It provides what Taseko felt was a  
16 substantive response in terms of details of the  
17 water quality modelling procedures.

18 I'm wondering if you've had a  
19 chance to review that and if you hadn't had a  
20 chance that might help resolve some of the  
21 uncertainty.

22 MR. HAGEN: I can't say that  
23 I've read submission 400. This information is  
24 coming in quick and fast, excuse me.

25 MR. WRIGHT: I'm wondering if

1 we can confirm the name of that document; is it a  
2 response to information question?

3 MR. MACGREGOR: It's Taseko's  
4 responses to the first set of information  
5 requests, as far as I know.

6 MR. HAGEN: I guess all I can  
7 do is say that I did see it, at this point.

8 MR. MACGREGOR: Okay. I guess  
9 perhaps it might be an open question, but a follow  
10 up question is if the information in that response  
11 isn't sufficient it would be useful to know what  
12 further information would be useful.

13 That response indicates that on  
14 pages 521 through 537 of the application, so by my  
15 math on-the-spot here, 16 pages worth of  
16 description of the modelling exercise, and I just  
17 had another look at it, it seems like there's a  
18 fair bit of information there to me.

19 So if you were looking for  
20 additional information it would be useful to have  
21 some specific guidance on what that would be.  
22 It's a bit of a process problem. I'm not sure how  
23 that works.

24 MR. WRIGHT: Mr. Chairman, can  
25 we take an undertaking to get back to them?

1                   CHAIRPERSON ROSS: I think that  
2                   would be very wise and I thank you for the  
3                   suggestion. Expect I must admit I've forgotten  
4                   your name and without this I can't tell whether  
5                   the Court Reporter remember it either.

6                   MR. WRIGHT: Steven Wright.

7                   CHAIRPERSON ROSS: Thank you,  
8                   Mr. Wright.

9                   QUESTIONS BY SCOTT JONES:

10                  MR. JONES: I may get the  
11                  phrasing right because I'm referring back to a  
12                  slide that was towards the end, but I think it was  
13                  something to the effect that the water management  
14                  is unproven at this scale, have I got at least the  
15                  intent of the statement correct?

16                  MR. HAGEN: That was the  
17                  general statement, that just based on general  
18                  review that what you're proposing is quite a lot  
19                  more than has been done before, so it tends to be  
20                  unproven at that scale.

21                  MR. JONES: I would like to ask  
22                  what do you mean by "water management" in that  
23                  context? Are you asking --

24                  MR. HAGEN: What do I mean by  
25                  water management in that context, is that your

1 question?

2 MR. JONES: Yes, and to be more  
3 concise, when you say "water management" are you  
4 talking about that pumping system, or are you  
5 talking about the water treatment component that  
6 might be involved, or is it kind of -- I'm looking  
7 for clarity on that.

8 MR. HAGEN: When I speak about  
9 water management it's a very general sense. So it  
10 would be both of those things, the movement of  
11 water around the site, the treatment of water,  
12 what happens to it, how you manage water.

13 MR. JONES: Could I ask if  
14 there is some particular component of that system,  
15 whether it be the pumping or the monitoring or the  
16 potential water treatment, is there some  
17 individual component of that that you're thinking  
18 is un-tried at this scale? I'm asking can you be  
19 more precise about that.

20 MR. HAGEN: If you could direct  
21 me to the actual comment that I made where I used  
22 that phrase "water management" I could help you  
23 more, but when I say that, generally I'm just  
24 talking about the water management in general.

25 It would be up to your

1 discretion how you accomplish those goals within  
2 your water management plan.

3 CHAIRPERSON ROSS: Mr. Nelson,  
4 I assume you're trying to help us here.

5 MR. NELSON: Thank you, Mr.  
6 Chairman. I have a process question related to  
7 the undertakings that have been exchanged so I can  
8 wait until this is resolved and maybe we can  
9 address that.

10 MR. JONES: It was right  
11 towards the very end of your presentation. I'm  
12 just trying to get a greater sense of is there  
13 some piece of that water management system, some  
14 leg of it, some component of it, that you could be  
15 more specific about being un-proven at this scale?

16 MR. HAGEN: Sorry, you're  
17 talking about a specific management action that I  
18 would consider to be un-proven at that scale, the  
19 nano filtration is probably a good example of  
20 that. I'll leave it at that.

21 MR. JONES: Thank you.

22 MR. HAGEN: Excuse me, with  
23 special reference to recirculation, a few examples  
24 in this scale, I think the simplest thing for me  
25 to do is put it back to your response to the

1 Panel's request for information, supplementary  
2 information request 15-D where you admitted that  
3 you found no examples of lake recirculation in  
4 your literature search.

5 So that implies that that  
6 technique would be un-proven if it hadn't been  
7 tried elsewhere, and you have no precedents to use  
8 to maybe get started or a handle on how it might  
9 work in your case.

10 MR. JONES: Thank you. I think  
11 we're done.

12 CHAIRPERSON ROSS: Thank you  
13 very much, Mr. Nelson.

14 MR. NELSON: Thank you, Mr.  
15 Chairman. I almost wandered into a discussion of  
16 nano filtration.

17 There was some undertakings  
18 exchanged, as I understand it, and I appreciate  
19 that those have been taken to help us understand  
20 the information in the EIS.

21 Our concern is the timing of  
22 those undertakings. I understood Mr. Hagen to say  
23 this is information that would be normally helpful  
24 to the back and forth that occurs in an  
25 environmental assessment. What we wouldn't want

1 to see is this information come in at such a late  
2 stage that Mr. Hagen, other regulators, TNG and  
3 others, don't have an opportunity to consider and  
4 comment on for the benefit of the Panel.

5 We would appreciate if the  
6 Panel would consider imposing a reasonable  
7 timeline in terms of when you expect these  
8 undertakings to be fulfilled that would allow Mr.  
9 Hagen and others to assess that information and  
10 give you further advice, since this hasn't been  
11 information part of the original Environmental  
12 Impact Statement.

13 I would add, in a similar vein,  
14 last week there was some back and forth about  
15 modelling for the seepage collection pond, I  
16 believe the Panel requested that that be done.  
17 The company has advised that they're considering  
18 doing that. We would appreciate if a deadline  
19 were imposed on complying with that information  
20 request, because what we wouldn't want to see is  
21 new modelling arriving on the last day or week of  
22 the hearings when it's not really available for a  
23 critique from other parties.

24 That's our concern around  
25 process and we leave that in your hands.

1                   CHAIRPERSON ROSS: Thank you,  
2                   Mr. Nelson. I'm going to leave it for now, but  
3                   before the end of day I would like some advice,  
4                   both from Environment Canada if it will provide  
5                   anything else, it's not clear anything else is  
6                   necessary at this stage, and an estimate from  
7                   Taseko of when you'd be able to provide that  
8                   information. That would be helpful. The next  
9                   questioners would be the Panel.

10                   MR. KUPFER: No questions,  
11                   thank you.

12                   MR. SMYTH: Thank you for your  
13                   presentation. I have no questions.

14                   QUESTIONS BY CHAIRPERSON ROSS:

15                   CHAIRPERSON ROSS: Sorry, I do.  
16                   You talked about selenium concentrations in water  
17                   not being a good indicator of adverse effects, are  
18                   there other indicators that may be better; perhaps  
19                   selenium concentration in fish?

20                   MR. HAGEN: Yes, I can point to  
21                   the EPA; for example, it does seem to be a  
22                   consensus that the best indicator is a selenium  
23                   level in fish tissue, particularly in ovaries or  
24                   that kind of tissue, and the EPA does have  
25                   guidelines for that too which I believe the CCME



1 is considering adopting and B.C. Ministry as well.  
2 So it's being worked on in that sense.

3 CHAIRPERSON ROSS: Thank you  
4 very much. I thought I had questions - plural -  
5 but I see that the other two have already been  
6 asked. So I thank you for your contribution, Mr.  
7 Hagen.

8 I guess I'll now turn it back  
9 to Environment Canada for your other two  
10 presentations which I understand we will do  
11 back-to-back and then have questions.

12 MR. WRIGHT: Yes, Mr. Chairman.  
13 I thank you for your patience and accommodation.

14 Next I'd like to turn to Ms.  
15 Manon Lalonde, who is going to present on --  
16 sorry. I'm confused. Dr. Emma Watson, who is  
17 going to present on climate change.

18 PRESENTATION BY DR. EMMA WATSON:

19 DR. WATSON: Mr. Chair, members  
20 of the Panel, Elders, Chiefs, ladies and  
21 gentleman, my name is Emma Watson --

22 CHAIRPERSON ROSS: Dr. Watson,  
23 could you get a little closer to the microphone,  
24 please.

25 DR. WATSON: Spelled E-M-M-A,

1 W-A-T-S-O-N. I am an environmental assessment  
2 climate data analyst at Environment Canada  
3 specializing in climate science. I will be  
4 speaking to you today about climate change.

5 Climate change considerations  
6 are relevant to the project because future climate  
7 change over the closure and post closure period  
8 has been projected to be different from the  
9 current and past climate for the area.

10 Environment Canada has reviewed  
11 the climate change information presented in  
12 appendix 2.7.2.4AD and relevant sections of the  
13 main EIS as well as IR18 and SIR18, which related  
14 to climate change and lake productivity.

15 Environment Canada agrees with  
16 the Proponent's assessment that the range of  
17 climate due to natural variability in the observed  
18 climate record would likely be sufficient to  
19 characterize the range of climate over the  
20 construction and operational phases of the  
21 project. So the next 20 years or so.

22 However, Environment Canada has  
23 identified concerns with the Proponent's  
24 assessment of the future climate, so climate  
25 beyond the period of mine operation, and secondly

1 in their evaluation of the observed climate  
2 records.

3 First I'll speak about the  
4 concerns we had with their assessment of future  
5 climate change.

6 This is a quote from the  
7 Proponent's response to IR18:

8  
9 "A review of the historical  
10 climate data for the past 100  
11 years would indicate there is  
12 no basis for assuming any  
13 material change in temperature  
14 and precipitation in the region  
15 within the time frame of project  
16 development and closure.

17 Environment Canada notes  
18 that, regardless of the strength  
19 or sign of historical trends in  
20 the region, observed changes  
21 cannot be used to make direct  
22 inferences about future climate.  
23 future climate projections must  
24 be based on an understanding of  
25 the physical climate system and

1 the factors that influence climate."

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

The second concern we had on their assessment of future climate change is that in their responses to IR18 and SIR18 the Proponent appears to have extended linear trends in observed temperature records from Barkerville and Williams Lake to project future changes for the area.

Trends and variation in past climate records reflect both natural variability of the climate system and human influences. The changes due to natural variability are not predictable beyond the short term.

When I say "short term" I mean seasonal or annual. So these are shorter than the operation and closure time scale of the project.

A trend that is part of a natural variation may not continue in the future, therefore the simple extrapolation of the linear trend from an observed record to predict future climate is not justified.

In response to both of these issues Environment Canada recommended that an ensemble of climate model projections - and by "ensemble" we mean different models for a range of

1 scenarios - be examined to assess the range of  
2 possible future climate change for the region.

3 Information on potential future  
4 climate can only be provided from climate model  
5 simulations. However, due to simplifications of  
6 complex climate processes in climate model  
7 structure, uncertainty regarding future emissions  
8 and in estimating natural variability, it is  
9 common scientific practice to use a range of  
10 possible change from an ensemble of model  
11 simulations.

12 This is to reflect the  
13 uncertain nature of climate projection.

14 In response to the Panel's  
15 request in SIR18 the Proponent provided  
16 projections of annual and seasonal temperature and  
17 precipitation.

18 The projections provided in  
19 table 1 of SIR18 are considered reasonable by  
20 Environment Canada. However, Environment Canada  
21 recommends that the consideration of possible  
22 impacts of climate change presented in SIR18 be  
23 based on the range of possible changes from the  
24 ensemble of projections, not the ensemble mean.

25 This more robust scientific

1 approach ensures that the range of possible  
2 impacts and uncertainty in projections is  
3 adequately considered.

4 Now, I will talk about the  
5 Proponent's assessment of regional climate.

6 In the climate change appendix,  
7 so that appendix 2.7.2.4AD the Proponent provides  
8 an assessment of trends in precipitation and  
9 temperature data from the Barkerville climate  
10 station and a streamflow record from the Chilko  
11 River. And they later expanded this to include  
12 the Williams Lake temperature records.

13 From these they conclude that  
14 climate in the region has been consistent and that  
15 there is no clear evidence of climate change  
16 effects on the streamflow record examined.

17 It is Environment Canada's  
18 opinion that the Proponent does not demonstrate  
19 that the climate and hydrological trend analyses  
20 they present in appendix 2.7.2.4AD and IR18 are  
21 representative of regional conditions or long term  
22 climate variability at the site.

23 Climate trends for a particular  
24 place are best evaluated from multiple station  
25 data records to better reflect regional

1 conditions, because climate records from  
2 individual sites may include localized  
3 site-specific conditions which do not represent  
4 the longer term regional-scale climate signal.

5 Climate change trends need to  
6 be assessed on a regional or a larger scale.  
7 Better assessment of trends in observed climate  
8 and hydro climate variables could have been  
9 achieved by analyzing additional records from the  
10 region and/or synthesizing the peer reviewed  
11 literature and/or reports.

12 Regional record for this area  
13 do show considerable warming, particularly in  
14 minimum temperatures in the winter and spring over  
15 the 20th century.

16 This slide shows trends in  
17 annual temperatures for minimum temperature, mean  
18 temperature, maximum temperature and then also an  
19 annual precipitation over the period 1900 to 2004,  
20 and the scale on the bottom left corner shows the  
21 range of temperature increases over that period.

22 So you can see that the  
23 greatest increase are in minimum.

24 And the next slide, a similar  
25 set of plots, except this is showing seasonal

1 trends in minimum temperatures, just to highlight  
2 that the trends are different for different  
3 seasons. Again, their strongest increases in  
4 temperature are in winter and spring.

5 The published literature also  
6 indicates that significant changes in hydrology  
7 have occurred in this region and further changes  
8 are projected for the future; these include  
9 decreased winter snowpack, earlier snowpack-driven  
10 peak discharge and decreased streamflow volume  
11 during summer months.

12 Our key recommendations are in  
13 terms of their assessment of the future climate  
14 changes. The Proponent is encouraged to base the  
15 evaluation of possible impacts of climate change  
16 presented in SIR18 on the range of possible  
17 changes rather than the mean of the ensemble of  
18 climate model projections to account for  
19 uncertainty in the projections.

20 And, second, in terms of  
21 assessment of regional climate, the Proponent is  
22 encouraged to synthesize the peer-reviewed  
23 literature and/or reports to receive a better  
24 assessment of trends in observed climate and hydro  
25 climate variables.



1 Thank you for your attention.

2 CHAIRPERSON ROSS: Thank you,

3 Dr. Watson. I understand we'll move to Ms.

4 Lalonde's presentation which will be far away.

5 PRESENTATION BY MANON LALONDE (Via telephone).

6 MS. LALONDE: I'm calling in

7 from to Ottawa.

8 So, Mr. Chairman, members of

9 the Panel, Elders, Chief, ladies and gentleman.

10 My name is Manon Lalonde, spelled M-A-N-O-N,

11 L-A-L-O-N-D-E.

12 I am a senior project program

13 engineer at Environment Canada specializing in the

14 area of surface water hydrology. I will be

15 speaking to you today about the surface water

16 quantity component in the water balance assessment

17 done by the Proponent.

18 Page 2. Hydrometeorological

19 parameters such as estimates of precipitation over

20 water bodies and runoff from catchment areas are

21 used as input to the water balance assessment to

22 quantify the water supply from precipitation.

23 These parameters which are

24 linked to the tailings storage facility, or TSF,

25 vary naturally in space and time and need to be

1 properly characterized to increase the accuracy of  
2 the water balance results; for instance, it is  
3 important that these parameters represent the long  
4 term mean average condition representative of the  
5 site and temporal variability, in other words,  
6 words the month-to-month and year-to-year changes  
7 in precipitation and runoff amount.

8 The focus of our review and of  
9 this presentation is on the proper  
10 characterization and consideration of these  
11 parameters in the water balance assessment that  
12 was conducted by the Proponent, and I want to note  
13 that this review was completely based on  
14 information found in the EIS, because for to the  
15 New Prosperity project Environment Canada has had  
16 no opportunity to exchange any information with  
17 the Proponent.

18 Page 3, in estimating the long  
19 term mean conditions of the site the Proponent  
20 faced a common problem in ungauged areas,  
21 especially in remote mountainous areas, that is  
22 having limited site-specific meteorological and  
23 streamflow data, challenging site data collection  
24 conditions, possibly having localized influence  
25 such as orographic effects and having a limited

1 amount of regional data to rely on.

2 I will pause here to note that  
3 orographic effects are the effects of the rapidly  
4 rising air forced by mountains and creating  
5 precipitation. All these factors lead to  
6 uncertainty in estimating the mean precipitation  
7 and runoff amounts.

8 And to account for this  
9 uncertainty in the initial project the Proponent  
10 had conducted the water balance assessment for the  
11 different scenarios using upper and lower balance  
12 of means, hydro meteorological parameters estimate.  
13 However, this approach was not used for the New  
14 Prosperity Project, and typically a sensitivity  
15 analysis would be employed to estimate the effects  
16 of uncertainty on results of the water balance  
17 assessment. However, there is no information  
18 provided in the EIS for the New Prosperity Project  
19 that would indicate that such a sensitivity  
20 analysis was conducted.

21 Page 4. In accounting for  
22 natural temporal variability in the water balance  
23 model, the Proponent has characterized  
24 precipitation and runoff as statistical  
25 distributions with a mean value and a measure of

1 dispersion around the means, and conducted Monte  
2 Carlo simulations that enabled possible  
3 combination of conditions.

4 The year-to-year variability,  
5 or the dispersion around the means was described  
6 using coefficients of variation which were  
7 obtained by analysis of the Water Survey of Canada  
8 streamflow data at regional stations.

9 Environment Canada views this  
10 approach and the coefficients of variations that  
11 were used as reasonable.

12 Page 5. So now moving on to  
13 the Proponent's results for the operational phase.  
14 The Proponent's results indicate that there is a  
15 high probability of operating in water surplus  
16 conditions with enough water buffer in the  
17 operating pond to operate the mine in consecutive  
18 dry years.

19 The Proponent has defined  
20 contingency measures that would be used if there's  
21 a water shortage or if there's an excess of water  
22 in the tailings storage facility. However, we  
23 note that we found no clear information in the EIA  
24 indicating what would be the probability of  
25 encountering such shortages or excesses.

1                   It is Environment Canada's view  
2                   that the assessment was performed using accepted  
3                   engineering hydrologic methods, indicating that  
4                   results are plausible, but uncertainty in  
5                   estimating long term mean precipitation and runoff  
6                   was not well-documented in the EIS. It would,  
7                   therefore, be prudent to consider the probability  
8                   of encountering extreme hydro climatic conditions  
9                   that made lead to shortages or excesses as higher  
10                  than depicted in the EIS.

11                  Page 6. One of the mitigation  
12                  measures proposed by the Proponent to minimize  
13                  chances of discharging contaminated water to the  
14                  environment, and I'm quoting what the Proponent  
15                  wrote on page 1,360 of the EIS. So the quote is:

17                               "Conducting annual reviews by an  
18                               accredited consultant of tailings  
19                               hydrological model, operation  
20                               and construction of the tailings  
21                               complex and water balances based  
22                               on site collected meteorological  
23                               data."

24  
25                   However, we know that the water

1 and hydro geology, and I'm referring to page 1,495  
2 of the EIS, it has no hydro meteorological  
3 components. So it is Environment Canada's view  
4 that the proposed annual reviews of models and the  
5 site collection of data are important to ensure  
6 the water management plan continues to reflect the  
7 best available information. And we recommend that  
8 that local monitoring including precipitation,  
9 temperature, other parameters needed to estimate  
10 evaporation, local stream flows, as well as lake  
11 and pond water levels.

12 Page 7. Now looking at the  
13 Proponent's results and approach for the  
14 post-closure phase. The Proponent's result  
15 indicate there will be a positive water balance on  
16 average or a water surplus with the potentially  
17 acid generating waste completely submerged during  
18 post closure and the Proponent estimates an annual  
19 post closure water surplus of 6.6 million cubic  
20 metres.

21 To account for the variable  
22 nature of the water supplied to the TSF in post  
23 closure, the Proponent proposes a design  
24 comprising a large supernatant pond with a  
25 capacity of 54 million cubic meters.

1                   A question that may be on  
2                   people's mind is what if seepage rates are higher  
3                   than estimated by the Proponent. NRCan has  
4                   estimated, as you know, that higher seepage rates  
5                   are possible, possibly as high as 8,650 cubic  
6                   metres per day or even as high as 10,000 cubic  
7                   meters per day.

8                   We looked at what that meant  
9                   for the water balance and water input as this  
10                  rainfall and run off fill up that water output as  
11                  evaporation and increased seepage such that we  
12                  continued to have a positive water balance on  
13                  average. This indicates that the water would  
14                  accumulate in the pond over the long term even  
15                  with the increased seepage rates. However, we  
16                  note that the water balance methods focuses on how  
17                  much water is left in the pond and, as such  
18                  Environment Canada can not infer any conclusion  
19                  about the state of the saturation of the material  
20                  within the TSF because this aspect pertains more  
21                  to hydro geology, and this aspect was covered by  
22                  the presentation of (unintelligible) from Natural  
23                  Resources Canada on July 26th who, has identified  
24                  limitations with the methodology used.

25                  Page 8, it is Environment

1 Canada's view in prior years there may be more  
2 water leaving the TSF than coming into it  
3 resulting in a net annual water deficit or  
4 negative water balance.

5 We view the large supernatant  
6 pond, as I mentioned, on the previous slide as a  
7 measure to withstand water deficits in dry years,  
8 but with we can't infer conclusion about the state  
9 of saturation in the material within the TSF.

10 I'm going to take this  
11 opportunity to note that there is an error on page  
12 23 of Environment Canada's written submission,  
13 it's in the third paragraph, the word "underlying"  
14 should be replaced with the word "within."

15 Now, about climate change, it  
16 is very difficult to quantify at this time the  
17 possible impact a changing climate would have on  
18 the annual water supply to the TSF in post  
19 closure, therefore Environment Canada would advise  
20 that should the project proceed the Proponent  
21 takes steps to ensure the detailed design of the  
22 supernatant pond and the need for additional  
23 mitigation measures would be based on the best  
24 understanding of the site's hydrological  
25 conditions as refined during the operational phase



1 monitoring program and also on up to date climate  
2 change projection and methods as these will  
3 improve over time.

4 Page 9, to conclude, the  
5 Proponent has used an accepted engineering  
6 approach using probabilistic presentation of  
7 precipitation and run off to account for natural  
8 variability. However, Environment Canada's  
9 opinion is that uncertainty in estimating long  
10 term hydro meterological parameters were not  
11 described adequately in the EIS. It would be,  
12 therefore, prudent to consider the probability of  
13 encountering extreme hydro climatic conditions as  
14 higher than depicted in the EIS during the  
15 operation.

16 Environment Canada views the  
17 monitoring of local site conditions and the  
18 periodic reviews of the model as important to  
19 ensuring the water management plans effect the  
20 best available information.

21 Also, we advise that good  
22 practice would entail reviewing the proposed  
23 supernatant pond site for post closure at the  
24 detailed design phase based on refined hydro  
25 climatic knowledge, including up to date climate

1 change projections and methods.

2 And that concludes my  
3 presentation.

4 CHAIRPERSON ROSS: Thank you,  
5 and I thank those who arranged for your  
6 presentation to be as clear as it was. Anything  
7 else at this Environment Canada, Mr. Wright?

8 MR. WRIGHT: No, that is all.

9 CHAIRPERSON ROSS: Other  
10 government of Canada, any questions for  
11 Environment Canada?

12 Any First Nations interested  
13 parties? I'm seeing a negative over there. Any  
14 interested party organizations have any questions  
15 for this portion of Environment Canada's  
16 presentation? Any individual interested party  
17 have any question for Environment Canada? Taseko?  
18 QUESTIONS BY MR. JONES:

19 MR. JONES: I had a question  
20 for Dr. Watson and I think Ms. Lalonde answered it  
21 but I'm going to ask it any way.

22 I understood Environment Canada  
23 doesn't see an issue with regard to climate change  
24 in the water balance during operations, more  
25 talking about climate change but the uncertainty

1           around climate change to regions. I guess my  
2           question was, being as the closure plan is  
3           something that evolves would it be more  
4           appropriate to make sure that as that plan evolves  
5           we're using the latest and greatest regional  
6           climate change information? And the reason I say  
7           I thought I heard the answer was I think Miss  
8           Lalonde's comment about -- I think she said do  
9           exactly that.

10                           DR. WATSON: Yes, I'd recommend  
11           using the most up to date models because the  
12           scenarios change as well for the future. They're  
13           being refined right now, so using those up to date  
14           models.

15                           MR. JONES: My other question  
16           was I guess for Environment Canada in general  
17           related to water quantity and climate change,  
18           would you expect the process leading up to  
19           permitting will provide additional information  
20           regarding to some uncertainties that you seem to  
21           be pointing out?

22                           MR. WRIGHT: I don't know if  
23           Ms. Lalonde might be able to help answer that  
24           question. Is she still on --

25                           MS. LALONDE: Yes, I'm on. I

1           may be able to help. But my understanding is that  
2           permitting is within the mandate of Environment  
3           Canada.

4                        So right now we're looking at  
5           possible adverse impacts to the environmental  
6           assessment. I think permitting is more of the  
7           purview of the province. So I think that's as  
8           much as I can help with that.

9                        MR. JONES: And I had a  
10          question for Miss Lalonde --

11                       CHAIRPERSON ROSS: Sorry,  
12          before you move along. I thought I heard an  
13          earlier suggestion that Environment Canada may  
14          have a permitting role with respect to the metal  
15          mines effluent regulations as well. That would be  
16          right in your ball park, would it not?

17                       MS. LALONDE: It's Manon  
18          Lalonde speaking.

19                        I don't know if someone from  
20          mining and the MMER is in the room and can maybe  
21          address that. Maybe I spoke too quickly about  
22          that.

23                        MR. HAGEN: Manon, I can answer  
24          that question. Two aspects of that; first, the  
25          MMER is not a permitting requirement. The

1 operator of an operating mine is expected to  
2 comply with the regulation. So we don't go  
3 through an approval stage at any time.

4 CHAIRPERSON ROSS: Thank you  
5 for that. Mr. Jones, go ahead.

6 MR. JONES: I think Mr. McManus  
7 has a question.

8 QUESTIONS BY MR. MCMANUS:

9 MR. MCMANUS: Thank you. John  
10 McManus with Taseko. In listening to the whole  
11 exchange and the presentation and exchange with  
12 Mr. Pearse, what I heard again and again, I think,  
13 was that part of the issue is there hasn't been  
14 the back and forth between the Proponent and  
15 Environment Canada, and that is, in your view?  
16 Part of the cause of the uncertainties.

17 MS. LALONDE: The question is  
18 about?

19 MR. HAGEN: I can respond to  
20 that question. The question is a good point. The  
21 opportunity to have a back and forth dialogue  
22 during a working group session during the EA  
23 process is very useful, and when we have  
24 Proponents that take advantage of that and engage  
25 in that kind of dialogue it enhances the

1 understanding that all parties have about the  
2 level of uncertainty and confidence that we would  
3 have in possibility of effect.

4 MR. MCMANUS: Thank you. And  
5 I'm not sure -- this is probably a process issue  
6 that I'm going to ask next, a lot of the other  
7 uncertainties we've encountered moving forward in  
8 this, we've said that type of tightening up of  
9 understanding of what exactly is going to happen  
10 doesn't have to happen before or during the EA  
11 process but could come afterwards.

12 I wonder what your thinking  
13 would be if we could have a working group  
14 committee to deal with these uncertainties. I  
15 didn't hear anything that stopped the project but  
16 things that you don't quite understand where we  
17 stand.

18 MR. WRIGHT: We are involved in  
19 an EA Panel review process and it would be up to  
20 the Panel to determine how they wanted to engage  
21 further.

22 MR. MCMANUS: I just pose the  
23 question and I don't have an answer other than we  
24 would be willing to do that if it's appropriate.

25 CHAIRPERSON ROSS: Any further

1 questions, Taseko?

2 MR. JONES: No, I think that's  
3 it. Thank you, Mr. Chairman.

4 CHAIRPERSON ROSS: Panel, any  
5 questions?

6 QUESTIONS BY MR. KUPFER:

7 MR. KUPFER: I'm not sure this  
8 is a question, but so I'm clear. Is Environment  
9 Canada requesting further information from the  
10 company at this time?

11 MR. WRIGHT: We have made a  
12 number of recommendations related to the  
13 desirability of further analysis and information  
14 be undertaken before the decision is made I guess.

15 MR. KUPFER: Follow up, I  
16 think. In your mind does this require some  
17 exchange of information in the near future, fairly  
18 soon, in another words, or are you just suggesting  
19 it be left that way and for us to determine  
20 whether we need more?

21 CHAIRPERSON ROSS: I think,  
22 George, what I earlier asked Taseko to do was to  
23 give us an estimate before the end of today when  
24 it could provide the information that has been  
25 requested by Environment Canada by way of an

1           undertaking that will help us to move forward at  
2           that time.

3                           MR. KUPFER:   Then I presume  
4           Environment Canada would review that quickly?

5                           MR. WRIGHT:   We would undertake  
6           to review it as quickly as possible but he'd have  
7           to understand completely what was being requested.

8           QUESTIONS BY MR. SMYTH:

9                           MR. SMYTH:   Thank you for your  
10          presentations.  I've taken note of NRCan talking  
11          about the possible deficiencies of the water in  
12          the TSF at closure and it's been reiterated again  
13          by you folks and so my question really - or  
14          request - goes over to Taseko, maybe not  
15          necessarily now but at some stage in the hearing  
16          you could tell us if this took place would you  
17          would mitigate against that?

18                          MR. JONES:   Specifically  
19          against a shortage of water, is that the question?

20                          MR. SMYTH:   That's correct, the  
21          shortage of water in the TSF post closure.

22                          MR. JONES:   Can we take that as  
23          an undertaking?

24          QUESTIONS BY CHAIRPERSON ROSS:

25                          CHAIRPERSON ROSS:   That would



1 be appreciated. Thank you very much. For Miss  
2 Lalonde I have some perhaps related questions.

3 At the bottom of your slide 5  
4 you indicate it would be prudent to consider the  
5 probability of encountering extreme hydro climatic  
6 conditions as higher than depicted in the  
7 environmental impact statement. Do you have any  
8 sense of how much higher or specific extreme hydro  
9 climatic conditions? That would be especially  
10 important.

11 MS. LALONDE: Yes, thank you  
12 for your question.

13 The short answer is no, I don't  
14 have an idea of how much higher they would be, and  
15 that's why a sensitivity analysis comes in handy  
16 in those situations. When facing uncertainty in  
17 the input parameters you're able to use this type  
18 of analysis to say well, what if the rainfall and  
19 the runoff really is lower than what I used as an  
20 average condition? You run those into your model  
21 and see how the results would change. Let's say  
22 that the result currently gives you that on any  
23 given day you run into the chance of having a 5  
24 percent, let's say shortage, if you do a  
25 sensitivity analysis with the lower value and you

1 see that the probability goes up to 7 per cent,  
2 well, you say, no big deal. But if you do the  
3 sensitivity analysis and it goes up to 50 percent  
4 you say oh, I have a problem.

5 So that's why this type of  
6 analysis is really useful, and that's why I was  
7 commenting that it was too bad it's not part of  
8 the EIS. So it's difficult to say.

9 CHAIRPERSON ROSS: Thank you.  
10 That helps. On page 8 of your presentation you  
11 refer to the fact that Environment Canada can not  
12 infer the conclusion about the state of saturation  
13 of the material within the tailings storage  
14 facility.

15 I want to be very clear about  
16 what material you're referring to, are you  
17 referring to the tailings or are you referring to  
18 the potentially acid generating rock that would be  
19 stored in the tailings storage facility?

20 MS. LALONDE: I'm referring to  
21 anything below the ground level. I'm not sure how  
22 deep the PAG material would be placed. So  
23 anything below ground level I'm saying that the  
24 water balance assessment, the part that I looked  
25 at, balancing input and output and water

1 quantities, it doesn't tell us anything about the  
2 state of the saturation of material within or  
3 below the ground level or the surface of the TSF.

4 CHAIRPERSON ROSS: Thank you.  
5 That helps. Where he have no further questions  
6 for Environment Canada.

7 Thank you so much for your  
8 presentation and your helpful contributions to the  
9 Panel review.

10 MS. LALONDE: You're welcome.

11 CHAIRPERSON ROSS: The next  
12 presenters are Rina Freed and James Kuipers on  
13 behalf of the Tsilhoqot'in National Government.

14 In terms of how this will  
15 unfold, as soon as this presentation has been  
16 made, we'll have a short break and come back for  
17 questions.

18 MR. PEARSE: Mr. Chairman, Tony  
19 Pearse. We have two presenters likely to be half  
20 an hour each. So I'm raising that because of your  
21 proposed time for a break. If you're happy to go,  
22 we'll go, but it's just a thought.

23 CHAIRPERSON ROSS: Our schedule  
24 has them 30 minutes, period. So why don't we have  
25 a break now and you three can work on how you can

1           come closer to our schedule. We'll be back in 15  
2           minutes.

3           --- Recess taken at 3:00 p.m.

4           --- Upon resuming at 3:15 p.m.

5                           CHAIRPERSON ROSS: Good  
6           afternoon, ladies and gentleman. Just before we  
7           get started I would like to deal with two matters.

8                           The first one is an apology to  
9           TNG. Apparently the request was properly made and  
10          we managed to bungle it. So I appeared to be  
11          accusing you of trying to take too much time. We  
12          would still appreciate it if you could shorten it,  
13          but I want to be clear about the responsibility.  
14          It is on behalf of ourselves. Thank you very  
15          much.

16                          The second one is I was asked  
17          to clarify the Panel's understanding of the  
18          request for an undertaking by Taseko to respond to  
19          some concerns that Environment Canada has raised.  
20          This is our understanding, and I'll elaborate a  
21          little bit as I go through it.

22                          There were discrepancies  
23          identified in Environment Canada's submission, and  
24          I think it's clear that Taseko agreed to deal with  
25          those -- clarify those discrepancies.

1 In addition, there were some  
2 other requests in the Environment Canada  
3 submission, and I understood that Taseko had  
4 agreed to provide some further information, such  
5 as the more details about the water quality model  
6 for Fish Lake, and I think that would be helpful  
7 for the Panel.

8 In addition, if there are  
9 other matters that would benefit the two, we would  
10 encourage Taseko and Environment Canada to talk so  
11 that they can work things out to enhance the  
12 prospect of there being a helpful response.  
13 Environment Canada seemed to think it was  
14 necessary for us to bless such discussions. I'm  
15 not sure why, but we certainly do. We agree with  
16 Environment Canada that getting together to  
17 discuss these matters is helpful. We won't engage  
18 in that, of course, for reasons I have discussed  
19 many times, but for the Ministry that is not only  
20 helpful -- not only proper but helpful is what I'm  
21 trying to say.

22 Mr. McManus?

23 MR. MCMANUS: Thank you, Dr.  
24 Ross. Just one question on that. I don't know  
25 how much engagement we can have while the

1 environmental assessment process is still going  
2 on. A large portion of our team is going to be  
3 totally tied up so I think some of those  
4 discussions in my mind would actually happen after  
5 we finish the hearings.

6 CHAIRPERSON ROSS: Let me be  
7 clear. I'm not talking about a big party or a  
8 major workshop. I'm talking about some phone  
9 calls to clarify. I think that's the sort of  
10 thing that would be helpful and I hope possible,  
11 and that's what I had in mind. If you need to  
12 hold a 3-day workshop to deal with those things,  
13 then I would encourage the two of you to find a  
14 way of having a 10 minute phone call -- sorry.  
15 Whether it's 10 minutes or whatever, is between  
16 the two of you. If there's need for  
17 clarification, make a phone call or something.  
18 That's all I'm looking for.

19 MR. MCMANUS: Certainly. I  
20 will call Mr. Wright. Thank you.

21 CHAIRPERSON ROSS: Thank you,  
22 Mr. McManus. At this point, I'll turn to over to  
23 TNG.

24 MR. PEARSE: Thank you Mr.  
25 Chairman. It's Tony Pearse for TNG. We have two

1 presenters this afternoon.

2 Dr. Rina Freed, is a registered  
3 professional environmental engineer. She has 12  
4 years experience as a water quality modelling  
5 specialist, and she'll be talking about the  
6 Proponent's water quality modelling.

7 We have Jim Kuipers who is a  
8 professional engineer in mining and minerals. He  
9 has 30 years experience in the mining industry and  
10 the mining environment compliance area.

11 We would propose to start off  
12 with Dr. Freed and then make her available for  
13 questions and then move on to Mr. Kuipers. Just  
14 as a note, Mr. Kuipers -- there is no overhead  
15 paper for Mr. Kuipers' presentation. We just got  
16 the one.

17 PRESENTATION BY DR. RINA FREED:

18 MS. FREED: Mr. Chairman,  
19 members of the Panel, elders, colleagues, and  
20 members of the public, thank you for the  
21 opportunity to speak. The spelling of my name is  
22 R-I-N-A, F-R-E-E-D. I specialize in mine water  
23 management, water quality modelling and hydro  
24 geology. For over a decade I have been working  
25 primarily with mining companies to model the water

1 quality impacts of proposed operating and closed  
2 mines. I have reviewed, as well, a number of  
3 mining projects. So the title of my talk today is  
4 the water quality modelling as a review of the New  
5 Prosperity EIS, and I work with Source  
6 Environmental Associates.

7 The SEA review has focused on  
8 Fish Lake, in particular, the water quality  
9 modelling. We are familiar with the key pathways  
10 of concern which we also identified which are the  
11 seepage from the tailings storage facility.  
12 There's also other sources including the ore piles  
13 and things like discharge from the tailings pond  
14 post closure.

15 Now, one of the key questions  
16 of this review is will the proposed water  
17 treatment of Fish Lake achieve the goal of  
18 maintaining a healthy, functioning ecosystem. The  
19 SCA answer to this was not clear in the  
20 environmental assessment documents and appendices  
21 provided and so a water quality model was  
22 developed for Fish Lake in GoldSim, a standard  
23 industry software, to evaluate the effectiveness,  
24 especially of the treatment.

25 We were familiar with the



1 different treatment proposals that Taseko has made  
2 so far for Fish Lake. There is the May 2013  
3 biotech proposal, this provide a conceptual plan  
4 for treatment and that was revised recently, this  
5 month, by Taseko. So one thing we need to  
6 ultimately be aware of is that the water quality  
7 predictions in the EIS don't take into account  
8 treatment of Fish Lake.

9 So that is the answer then to  
10 why we're building this water quality model of  
11 Fish Lake so that we can take into account the  
12 effect of the proposed treatment.

13 Rather than model all of the  
14 parameters of concern which would be a bit of an  
15 overwhelming undertaking for a review, cadmium was  
16 selected. Cadmium does illustrate the  
17 effectiveness of the treatment just as another  
18 parameter of concern could, such as the ones  
19 listed here, and also cadmium is a very sensitive  
20 constituent in the aquatic ecosystem.

21 Here I've put up for your  
22 benefit, some of the water quality results  
23 presented in the EIS from appendix 2.7.2.1-I. So  
24 these are the figures we've been referring to.  
25 That is the main basis for the information

1 provided.

2 Now in this graph, it shows the  
3 different water management periods: 1, 2, 3, 4, 5;  
4 and 5 and on is post closure. So I mostly  
5 focussed on that in this particular slide showing  
6 that if you look at the mean value that's in blue  
7 there -- there's lots of squiggly lines -- but,  
8 generally speaking, we're at about .09 micrograms  
9 per litre for cadmium. Just for reference the  
10 guideline is shown on this graph as well, and  
11 that's around .03 micrograms per litre. So I've  
12 changed everything into micrograms per litre  
13 rather than milligrams per litre so it's easier  
14 for everyone to not have to deal with all that  
15 many zeros.

16 Now in the EIS there's a number  
17 of cadmium concentrations reported in those same  
18 figures. What I have done for you is summarized  
19 them here in this figure so that you can have a  
20 sense of them. For example, the tailings seepage  
21 tales and waste rock have a combined seepage for  
22 water of approximately 1 milligram per litre --  
23 microgram per litre. Thank you, Tony. And in the  
24 seepage ponds we're in the 1 to 3 microgram per  
25 litre where it's in pond 2 or the 3 to 6 microgram

1 per litre range according to those graphs.

2 In the streams to Fish Lake  
3 were approximately .1, and Fish Lake itself you've  
4 already seen in the .09 range. The ore seepage  
5 piles are surprisingly high in terms of maximums  
6 up to 6 milligrams per litre.

7 This graph, this figure also  
8 helps understand a little bit about the concern of  
9 TSF seepage paths. So you can see the tailings  
10 facility there, at least part of it in the slide,  
11 and the seepage ponds as well as I've depicted 10  
12 capture wells as proposed by Taseko spread out  
13 across.

14 There's some arrows --  
15 actually, I can probably show them -- there's also  
16 some arrows showing how seepage can bypass some of  
17 these captures wells and the seepage ponds and the  
18 ditches to eventually end up these -- in the  
19 streams and then in Fish Lake.

20 So for reference, the B.C.  
21 water quality volume for cadmium, which is  
22 hardness dependant, is in the range of .03  
23 micrograms per litre.

24 Let's see, make sure I'm not  
25 speaking too fast, am I?

1                   Here, I've added a slide for  
2                   the ore stock pile, surprisingly high at 6  
3                   milligrams per litre maximum and partly put this  
4                   slide in there because I haven't found a basis to  
5                   explain these concentrations. This leads back to  
6                   the TNG information request to understand the  
7                   modelling that was completed for Fish Lake in more  
8                   detail. There is some information provided  
9                   especially if one digs around and spends an  
10                  inordinate amount of time putting it all together,  
11                  which I have, and I haven't been able to get past  
12                  some of the source loading such as the ore pile.  
13                  I haven't quite been able to understand those in  
14                  sufficient detail.

15                  Just to highlight the TSS  
16                  seepage concern from the point of view of SCA. We  
17                  are concerned that this pathway to Fish Lake from  
18                  the TSF is a fatal flaw of the project. Now  
19                  Taseko has discussed this concern in the original  
20                  hearings, and we're familiar with that. I have  
21                  appended to my written submission the memo that  
22                  was provided where they model the concentrations  
23                  of a number of parameters based on putting the  
24                  tailing storage facility on land. And in my  
25                  opinion that was an alternative assessment. That

1 was their chance to assess this exact same  
2 alternative that they're putting before you right  
3 now. I think maybe they've done some more  
4 detailed engineering, but in my opinion that was  
5 already said to be flaw because of the seepage  
6 concern and the water quality guidelines in Fish  
7 Lake.

8 So SCA has developed a GoldSim  
9 water quality model to consider Taseko and NRCan  
10 seepage estimates from the TSF, and because NRCan  
11 only looked at the seepage out of the tailing  
12 facility not amount captured or amount escaping to  
13 Fish Lake, I used the same assumptions that Taseko  
14 used for the capture efficiency.

15 This picture depicts what a  
16 GoldSim model looks like to some extent. There's  
17 water balance contained in this container which  
18 basically keeps track of water going in and out of  
19 this reservoir. And there's cell pathways. These  
20 cell pathways keep track of mass. So in this case  
21 cadmium. How much kilograms of cadmium goes in  
22 and how much goes out. The model includes  
23 treatment and so that takes mass loading out of  
24 the Fish Lake system as conceptualized here. And  
25 there's also a sync(ph) for the Fish Lake outflow.

1                   Now I am lumping Fish Lake and  
2                   the inlet streams which I'll show in the next  
3                   slide. And so all the mass balance loading  
4                   assumptions are listed here. Finally, we get a  
5                   water quality prediction for Fish Lake.

6                   This is a conceptual model  
7                   showing how the model is put together. So as I  
8                   said, this is representing Fish Lake and the inlet  
9                   streams, and so we have lumped them together for  
10                  ease of presentation here. There's just all the  
11                  mass loadings in and all the mass loadings out.

12                  So what is coming in? There is  
13                  the TSF seepage, of course, there's runoff --  
14                  overland runoff from the project site and then  
15                  there's the other sources. And those include the  
16                  ore stockpile and things like the TSF pond to  
17                  closure.

18                  One of the outlets, we have TSF  
19                  pond pumping and Pit Lake at closure and another  
20                  outflow, of course, is the recirculation that is  
21                  proposed. So the recirculation line in the  
22                  updated July 17 proposal by Taseko does contain  
23                  provision for treatment off that line. So some  
24                  percent of the recirculation gets treated. So  
25                  this is the conceptual model that was considered

1 in the mass balance modelling.

2 This diagram from the EIS, it's  
3 a little bit busy. This is the one that SRK would  
4 have put together and put in the EIS. But it does  
5 help understand the sources to some extent such as  
6 the ore pile. And this is sort of the level of  
7 information that we're kind of trying to sort  
8 through when we try to review the model.

9 The sea water balance model  
10 flows are listed in this table here and the  
11 interesting thing here is that the recirculation  
12 value compared to the outflow value is about  
13 one-half, so yet about a half of the inflow coming  
14 from overland runoff, half recirculation and  
15 precipitation evaporation are fairly balanced.  
16 And then the other thing I've listed here is the  
17 treatment rate. It's 35 percent of recirculation.  
18 I recall 2 million metres cubed a day was in the  
19 July recent treatment rate proposed. The other  
20 treatment rate that Biotech suggested was 8,000  
21 gallons per minute. So now when we compare these  
22 on a litres per second basis to the inflows and  
23 outflows, you can see that the more recent  
24 proposal was less than half the Biotech proposal,  
25 and the treatment rate in terms of the Biotech

1 rate is less than but fairly similar to the recent  
2 recirculation rate. So I think that's helpful  
3 just to see all those numbers and the same units.

4 Now, the TSF seepage rate, this  
5 is an interesting component of this work. We know  
6 that NRCan predicted some of the values. Very  
7 familiar with the 28.1 litres per second, that's  
8 total, going towards the main dam. Nothing to do  
9 with deep ground water and 65 percent of that is  
10 estimated by the seepage modelling to go through  
11 the main dam; 35 percent of that is estimated to  
12 go under the main dam.

13 Now, the way I interpreted that  
14 is that NRCan's estimate from the base case  
15 seepage modelling -- this isn't the conservative  
16 case, but the base case -- that value 59 litres a  
17 second is comparable to the flow of seepage under  
18 the dam. So then when we look at what is the  
19 actual seepage to Fish Lake -- this is the part  
20 NRCan didn't necessarily discuss -- then the EIS  
21 predict 2.4 litres a second. It took me a little  
22 while to sort through all that, but eventually I  
23 saw that that was including all the different  
24 components of seepage related to the TSF including  
25 base and seepage and so on. Anyhow, that compares



1 to if we apply the 50 percent that goes past the  
2 ponds, the 40 percent that goes past the capture  
3 wells, then it's a 20 percent bypass over around  
4 12 litres a second of seepage into Fish Lake based  
5 on the NRCan seepage modelling and these are the  
6 assumptions from the EIS as far as I could gather.

7 Now, this slide shows in a  
8 little more detail just the 8 percent seepage  
9 pathway passing under the main dam. This is where  
10 I understood how this assumption will work. A  
11 hundred percent of the seepage passes through --  
12 gets captured. So, I'm not going to try to go  
13 through this detail, but if anyone needs that  
14 explained, then I'm sure Taseko could do that.

15 Okay, so the mass balance  
16 assumptions. Those are related to the kilograms  
17 of cadmium, for example in this case, passing  
18 through the system. In terms of overland runoff  
19 assumed to be -- at least if it's non-contact  
20 water -- assumed in the baseline level and that's  
21 in the order of .025 micrograms per litre. This  
22 comes directly from the Knight Piesold Modelling  
23 Water Quality Report. The TSF seepage water  
24 quality very clearly explained in terms of waste  
25 rock and tailings in Appendix H from that one page

1 source term appendix. The treated outflow now in  
2 the Biotech case for cadmium was .001 micrograms  
3 per litre and the revised rate was a bit lower  
4 than that, 5 times lower.

5 Now for reference, the B.C.  
6 water quality guideline is there and that's also  
7 listed in the EIS. And the treatment methods I  
8 think we're all familiar with as outlined in the  
9 Biotech report.

10 So, what were the modelling  
11 approaches taken, what were the scenarios? In the  
12 first case the scenario was just the same thing as  
13 modelled by the EIS. The same seepage rates, the  
14 2.4 litres a second and this comprised a model  
15 calibration step.

16 In the next scenario the  
17 seepage rate remained the same but treatment was  
18 added in the Biotech proposal.

19 In the next case, the only  
20 thing that changed was the NRCan seepage flow  
21 rate, the 12 litres a second I explained earlier  
22 was included in this scenario. Then I admit I had  
23 that all finished and we got the revised treatment  
24 approach from Taseko so I added the scenarios for  
25 that. All that changed from C to D is the

1 treatment approach. And in Scenario E we have one  
2 more scenario, the maximum possible treatment  
3 capacity that would be 100 percent recirculation.

4 So as an example providing  
5 water quality modelling results here for Scenario  
6 C, this is the NRCan seepage with the Biotech  
7 treatment. So starting at the bottom here is the  
8 water quality treated outflow, the affluent, from  
9 the Biotech proposal. This is scenario C with the  
10 Biotech treatment. Then in green we have the  
11 water quality guidelines. So this is micrograms  
12 per litre on a log scale so that we're able to  
13 compare numbers. And so moving up from the  
14 guideline -- I'm sorry -- is the actual water  
15 quality prediction.

16 So now, I should mention here  
17 that only 5 years are shown, but the model was run  
18 a hundred years but because I was primarily  
19 concerned with the post-closure situation and mean  
20 average results, the annual average results, the  
21 result that's shown here for five years is they  
22 don't change after that. But you can see how we  
23 start at around baseline, similar to the guideline  
24 here, and increase to the level of the red line  
25 which is the EIS proposed closure rate. So why is

1           it that with treatment we end up right back where  
2           we started? In this case it's because of the  
3           increase in the TSF seepage from the NRCan  
4           prediction. And then, finally, at the top just  
5           for reference is the actual pour water quality of  
6           TSF seepage.

7                                So that is generally what the  
8           example looks like.

9                                The results, I've tabulated  
10          here for the different scenarios, so the in EIS  
11          the prediction was .09. With no treatment this  
12          was the model calibration step I would like to  
13          mention here that in that conceptual model earlier  
14          there were the other sources so this includes  
15          calibration of the other sources since I wasn't  
16          quite clear on what those were per se. I used the  
17          value and the EIS to calibrate that and then I  
18          used the TSF seepage rate as well. So I hope  
19          that's clear, but please ask me if it's not.

20                               The first Scenario B with the  
21          EIS and the Biotech treatment, we're still in the  
22          general range. It does make a difference. With  
23          the Scenario C with the NRCan seepage, we're back  
24          up like we just saw in the previous example.

25                               Scenario D the revised

1 treatment approach 35 percent recirculation. We  
2 are very similar to the EIS prediction. This  
3 could be surprising, but recall that the treatment  
4 rate, capacity at 35 percent was less than half of  
5 the Biotech treatment rate. So it's actually not  
6 that surprising because the water quality in Fish  
7 Lake is most sensitive to the capacity of the  
8 treatment, the flow rate, rather than the actual  
9 water quality of effluent predicted because in the  
10 mass loading water balance that makes a much  
11 bigger difference.

12 Finally, interesting results  
13 here. At a hundred percent recirculation, so this  
14 would be the maximum amount we could recirculate  
15 in the system, the cadmium levels are still above  
16 the B.C. water quality guideline. And so as far  
17 as I can tell, we can't really increase the water  
18 -- I don't see how Taseko could increase the  
19 treatment rate above this since they're saying  
20 they're just going to go up to the recirculation  
21 rate, and the recirculation rate does reflect the  
22 inflow. So I think that even with treatment, you  
23 have a clear conclusion here. We're not meeting  
24 the water quality guideline.

25 Now, I did take particular

1           exception to the statement by Taseko that the  
2           inflow concentrations would somehow be maintained  
3           at 75 percent of the guideline. So if the  
4           guideline is .03 micrograms per litre for cadmium,  
5           I don't see how there's any basis for this claim  
6           we when have the clear mass loadings that they  
7           have already predicted themselves for seepage into  
8           Fish Lake and then we have the potential base case  
9           example from NRCan to consider. This really  
10          flummoxed me. I couldn't see how this was  
11          possible. I don't think it is technically  
12          possible to maintain inflow concentrations at the  
13          Fish Lake water quality that would be the inflow  
14          in to the treatment process at 75 percent of the  
15          guideline.

16                           Okay, so now I'm going to talk  
17          about some other issues other than the modelling  
18          that was done. In particular, Taseko has not  
19          indicated why the upper estimates of cadmium  
20          concentrations are 6 times higher for Pond 2 in  
21          the range of 6 micrograms per litre, and again I'm  
22          picking on cadmium, than for the TSF seepage pore  
23          water. So this is -- and I'm sure there's some  
24          explanation in the SRK water quality model, but  
25          that wasn't provided, at least not in a way that I

1           could -- I don't think it was provided in a  
2           standard approach.

3                           In Appendix 2.7.2.4 also the  
4           same seepage ponds are shown with 10 times lower  
5           cadmium concentration. I don't know which one is  
6           in error and so this could result in under  
7           prediction or over prediction. It's hard to tell.  
8           But here can you see this is milligrams per litre  
9           so we're in the 6 milligrams per litre range in  
10          the seepage pond. And there's got to be another  
11          source, obviously, other than just the TSF seepage  
12          going into that pond because the TSF seepage is  
13          much lower.

14                           Another issue related to Fish  
15          Lake water quality modelling, there's abrupt  
16          change, so we go along, we've got operations, end  
17          of operations, closure 1, closure 2, I believe,  
18          and at some point around year 2050 there's a sharp  
19          spike in Fish Lake in sulphate levels, at least,  
20          well, for all the maximum and for the different  
21          statistical graphs here and that hasn't been made  
22          clear. In general the rationale for the water  
23          quality result presented in the appendix provided,  
24          the results are not clear.

25                           Okay, now I'm going to look

1           into some of the mitigation methods that have been  
2           proposed and talk about that to some extent. And,  
3           for example, the TSF has somewhat of a liner  
4           propose, I suppose, and my comment is that there's  
5           a large uncertainty regarding the spacial extent  
6           and hydraulic connectivity of the TSF till  
7           foundation materials. I understand that the  
8           effectiveness of this till liner to limit seepage  
9           is very questionable and the EIS assumptions have  
10          been debated already, and I think there's a  
11          commitment by the Proponent to augment the liner,  
12          this natural liner with additional materials.

13                           Now, I'm looking a bit at the  
14          Ministry of Energy and my comment here. I do have  
15          a high regard for Kendall Fontaine(ph) and Bruce  
16          Matson's report and so a number of their comments  
17          are very similar to the comments that I'm making  
18          in this submission and in their written  
19          submission. The sensitivity analysis shows that  
20          significantly higher seepage rates than used in  
21          the water quality loading models could occur. So  
22          I've kind of taken that into account. A key  
23          uncertainty of the review has been identified.  
24          Taseko has not shown that the existing natural  
25          till can be sufficiently enhanced over the large



1 TSF area for the proposed design level of this  
2 hydraulic conductivity. SCA finds that with no  
3 adequate TSF liner, the project may pose a great  
4 environmental risk for the Province of B.C.

5 The next thing is this ore,  
6 low-grade ore seepage issue. I brought it up a  
7 little bit earlier in terms of not understanding  
8 the model, but I was going to make a few more  
9 comments that the Ministry of Energy and Mines  
10 also discussed. So a portion of the seepage from  
11 the ore stock pile will discharge to Fish Lake  
12 bypassing the composite liner and this is  
13 explained in the response to IR50. The seepage  
14 model has incorporated unrealistically low seepage  
15 rates which are based on low head and low  
16 permeability material below the base of the liner.  
17 So this does come from the Ministry of Energy and  
18 Mines again. It's very difficult in my experience  
19 in modelling seepage liners and in being aware of  
20 other consultant's work to achieve 99 percent  
21 effectiveness with an installed liner. So  
22 Ministry of Energy and Mines commented that the  
23 liner is -- the effectiveness of the liner is  
24 overly optimistic from an effect assessment  
25 perspective. I would like to add that the ore

1 pile assumptions are not conservative and result  
2 in under predictions in the mass loading rates to  
3 Fish Lake.

4 Okay. The long term water  
5 management has been discussed in this project as  
6 well, and fresh water diversions and flow  
7 augmentation have not been applied at B.C. mine  
8 sites at this scale or for this length of time.  
9 Taseko is making very significant commitment to  
10 long-term recirculation to preserve ecological  
11 value of Fish Lake. It's a very large  
12 undertaking. Perpetual pumping should be assumed  
13 for a number of streams, the main dam seepage,  
14 ground water recovery, recirculation of Fish Lake  
15 and seepage collection from the south and west  
16 dams.

17 The mitigations represent  
18 significant long term liabilities that have to be  
19 covered by a very large financial security.  
20 Again, just echo that I appreciated the comments  
21 on this from the Ministry of Energy and Mines.

22 In terms of accidents and  
23 malfunctions, the risk assessment conducted did  
24 not consider these in relation to mitigation  
25 measures from maintaining Fish Lake such as

1 recirculation and aeration. And accident and  
2 malfunctions related to the water treatment of TSF  
3 seepage were not considered. These measures are  
4 the primary mitigations for the project and any  
5 accidents or malfunctions related to them could  
6 have direct effects to Fish Lake. In my  
7 professional judgment, this is a critical error of  
8 the impact assessment of the risk for the project.

9 Now from the perspective of the  
10 overall project rather than specifically Fish  
11 Lake, the Pit Lake discharge did stand out to me.  
12 Once the Pit does discharge, the concentrations in  
13 Fish Lake are predicted to be relatively high.  
14 Higher than Fish Lake in the .35 microgram per  
15 litre level for cadmium as my example. A number  
16 of other parameters are also high. I'm concerned  
17 this will cause impact to lower Fish Creek and  
18 possibly Taseko River. I know there's a proposal  
19 to treat, but the effects of the treatment have  
20 not been modelled. The lack -- so I think even  
21 just having the treatment capacity and the cost of  
22 that would be helpful. The lack of detail  
23 conceptual plans to mitigate Pit Lake discharge in  
24 Lower Fish Creek in Taseko River is of real  
25 concern for the Panel's assessment of the proposed

1           projet.

2                               Now, overall another thing that  
3           really stood out was the financial security. And  
4           not withstanding that, the conclusions are that  
5           treatment is not technically feasible for Fish  
6           Lake. The total treatment proposed by Taseko is a  
7           significant long-term cost. So there's treatment  
8           of water, pulling water out of Fish Lake for  
9           recirculation. There's treatment of long term Pit  
10          Lake discharges. There's treatment of seepages  
11          collected. I'm imagining the seepage is  
12          collected. And there's the additional discharge  
13          as to water bodies that could also require -- so  
14          all in all, it's a lot of treatment.

15                              The combined rate of treatment  
16          required to meet water quality guidelines and  
17          thresholds for all the COC's in the receiving  
18          environment was not described by Taseko. The cost  
19          of treatment along with recirculation may be  
20          economically unfeasible for the project.

21                              Now that I've gone through  
22          those mitigations, I did look briefly at the water  
23          balance. So in particular, this is another area  
24          of expertise for myself and so I wanted to  
25          consider this key question: Could the NRCan TSF

1 seepage estimates result in exposed tailing in the  
2 TSF?

3 So, from my understanding,  
4 total, this isn't just the main dam now, but in  
5 total, we could have up to 116 litres per second  
6 seepage from the TSF.

7 So SCA evaluated the effect of  
8 the change in seepage using an annual water  
9 balance presented for the TSF pond. And I didn't  
10 mention it earlier, but the water management  
11 report from NP was very helpful in terms of the  
12 annual numbers. That's where I pulled all the  
13 numbers from for the original water balance and  
14 this is where I also got the numbers for this  
15 water balance cover assessment. So that's the  
16 back of the Appendix Water Management.

17 The TSF Pond is predicted to  
18 have a water deficit for the upper range of the  
19 TSF seepage results. Details of this analysis are  
20 provided in the written submission that SCA  
21 provided. This analysis does not consider the  
22 site-specific historical range as well. I was  
23 only looking at mean results, mean annual results  
24 not -- all it is to say is that it could be  
25 conceivably in a low flow year, it could have an

1 even larger deficit given the a high range of TSF  
2 seepage. The water cover the tail and waste rock  
3 is a critical mitigation required to prevent onset  
4 of acid rock drainage.

5 Another -- this is the last  
6 issue that stood out was lower Fish Creek. There  
7 are some salmon present as I understand it. Lower  
8 Fish Creek is suitable in June, not necessarily  
9 year round. The EIS predicted increase in service  
10 water flow in lower Fish Creek of 76 percent  
11 during operations and closure. For the first part  
12 for approximately 50 years the flows are  
13 drastically reduced. However, at post closure  
14 then the cadmium concentrations start to be very  
15 high. So this appears to pose quite a serious  
16 risk to lower Fish Creek taken all together. This  
17 just gives an example of the predicted levels from  
18 the Knight Piesold appendix water quality  
19 modelling of cadmium levels. So the Fish Creek  
20 levels are remarkably high.

21 Just as a general statement to  
22 the Panel, in my opinion, the industry standard is  
23 to model the mitigation proposed, not propose  
24 mitigation and leave it to the imagination of the  
25 reviewers to find out how well that mitigation

1 would do. So I would like to say that I in my  
2 experience, the proposed mitigation is modelled.  
3 It's not level to these high exceedances. If  
4 you're going to say you're going to meet water  
5 quality guidelines, then show with your model that  
6 that's the case.

7 So, in conclusion, the Fish  
8 Lake water quality modelling, the SEA model  
9 results show that water quality guidelines for  
10 cadmium in Fish Lake can't be met with the  
11 proposed treatment. Even with a hundred percent  
12 recirculation directed to treatment, Fish Lake  
13 cadmium levels continue to be above B.C. water  
14 quality guidelines for the protection of aquatic  
15 life. SEA used the base case seepage from NRCan  
16 as opposed to the conservative case and used all  
17 the assumptions from the EIS in terms of seepage  
18 capture and used overly optimistic 99 percent  
19 liner efficiency and we still came up with this  
20 result.

21 So in the opinion of this water  
22 quality modeller, the results could be a lot  
23 worse. Water quality concentrations of cadmium in  
24 Fish Lake could be much higher -- this is the  
25 point I've just made -- because of nonconservative

1 nature of the both model that I put together and  
2 the SRK water quality model.

3 In terms of mitigation, the  
4 following plans are of concern, in particular the  
5 ore and low-grade ore stockpiles have been  
6 modelled optimistically. The TSF seepage liner  
7 composed of native till isn't adequate for  
8 mitigating the effects of TSF seepage on Fish  
9 Lake. The long term recirculation and seepage  
10 comeback are onerous and need to be maintained in  
11 perpetuity. This is not something that I'm seeing  
12 on the projects that I'm reviewing and working on  
13 for the mining industry. Failures of the  
14 recirculation and seepage pump back systems  
15 weren't considered in the accidents and  
16 malfunction section of the EIS posing a  
17 significant risk to Fish Lake over the long term.

18 In terms of treatments, the  
19 treatment requirements the project could include a  
20 number of different streams, Fish Lake, Pit Lake  
21 discharges to lower Fish Creek, seepage pond water  
22 collected and other mine discharges. Overall,  
23 this amounts to a very large amount of water to  
24 treat making the cost potentially prohibitive. A  
25 substantial environmental and financial risk to



1 the public would arise if the project were to  
2 proceed as designed.

3 Overall, adequate mitigation  
4 plans for dressing potential impact to Fish Lake  
5 water quality were not provided by Taseko. As  
6 Taseko does not intend to construct an adequate  
7 liner system to protect Fish Lake, it is not  
8 possible to conclude that the risks to Fish Lake  
9 are acceptable. Thank you.

10 CHAIRPERSON ROSS: Thank you,  
11 Dr. Freed. As I understand, we'll now take  
12 questions for Dr. Freed.

13 Government of Canada, any  
14 questions for Dr. Freed? I see some negative  
15 shaking of heads.

16 I'll move on to other First  
17 Nation questions of Dr. Freed?

18 Seeing nothing exciting  
19 happening, I'll move on to interested party  
20 organizations?

21 Interested party individuals?  
22 Taseko?

23 MR. JONES: Mr. MacGregor has a  
24 few questions.

25

1           QUESTIONS BY MR. MACGREGOR:

2                           MR. MACGREGOR:   Dylan  
3           MacGregor.  Thank you very much for your  
4           presentation, Dr. Freed.  I have only a couple of  
5           questions and they're in no particular order so  
6           I'll just get started here.

7                           I'm going to make a reference  
8           to your written submission so that's the registry  
9           document No. 708.  And it's just a point of  
10          clarification, I think it's important for the  
11          Panel.  On page 19 you make reference to there  
12          being an ARD potential for the tailings, and I'm  
13          just wondering what the basis of that was, the  
14          test work that I'm familiar with doesn't indicate  
15          that.

16                          MS. FREED:  Thank you for  
17          clarifying that.  In particular, then I suppose  
18          it's the PAG waste drop that would be of concern.  
19          You're saying that tailings don't have potential  
20          for going acid if they're exposed to air and  
21          water, right?

22                          MR. MACGREGOR:  That's what  
23          the test work and the application show.

24                          MS. FREED:  Oh, I said thank  
25          you for the clarification.

1 MR. MACGREGOR: Okay. Thank  
2 you. In your presentation there I suppose I have  
3 to ask this in the form of a question so I'll ask  
4 if you've read a number of different things. In  
5 the application itself, in the EIS document, I'm  
6 wondering if you've read the section on Page 494  
7 that says under a heading, "Ore stock pile source  
8 term" and goes on to describe the ore stock pile  
9 source term.

10 MS. FREED: Thank you, I have.

11 MR. MACGREGOR: And references  
12 Appendix 2.7.2.1-E which has the numerical. So  
13 the section in the document describes the  
14 derivation of the source term and the appendix  
15 contains the numerical values for the source term,  
16 and it's titled Mine Rock Source Term Inputs.

17 MS. FREED: Yes, I believe I've  
18 read that. Thank you.

19 MR. MACGREGOR: I think this is  
20 my last question. I have a number of things that  
21 I jotted down, but you've clearly done a lot of  
22 work in developing this model that you put  
23 together. I think it's probably fairly  
24 characterized as a verification model or an audit  
25 of the work that was in Taseko's document. I

1 wonder why you chose cadmium in particular at a  
2 parameter that is in all of the source terms in  
3 fairly low concentrations and we were seeing a  
4 number of sort of sub-microgram per litre numbers  
5 in your presentation. You pointed out that you  
6 had converted to microgram per litre to make it  
7 easy for people to follow. I'm wondering why you  
8 chose cadmium in particular to develop the model  
9 with, given that it is kind of odd level model of  
10 verification, wondering why you didn't chose to  
11 use something more of a major ion like sulphate,  
12 for example, to really build your model around and  
13 use something that wasn't so susceptible to  
14 influences from low detection rates, for example.  
15 In my view that would be a standard way to do this  
16 kind of thing.

17 MS. FREED: Thank you for the  
18 question. I did actually -- the first part of the  
19 question is was this a verification and my  
20 intention here was I didn't have enough  
21 information to verify. My intention more was to  
22 test the statement that the treatment would meet  
23 the water quality guidelines. So I guess it isn't  
24 in my opinion a verification model per se. I  
25 didn't have enough information to verify the

1 model. I was more using the same assumptions that  
2 were used in the modelling as far as I could  
3 gather to test the statement about the treatment.

4 But on the other question about  
5 cadmium and why I chose that. I actually chose  
6 sulphate to begin with. That was my initial  
7 thought. So I did all the modelling with that,  
8 presented to the TNG and the comment I got back is  
9 we don't care about sulphate, can you pick  
10 something that's a little more concerning.

11 And then I will take issue with  
12 one thing that you said about cadmium levels being  
13 low. We went up to 6 milligrams per litre; do you  
14 consider that low for cadmium?

15 MR. MACGREGOR: No, I don't  
16 consider that low. The general sort of  
17 sub-microgram per litre concentration that were  
18 discussing in your presentation I would consider  
19 low.

20 MS. FREED: They are above the  
21 water quality guidelines, and I think we'll have  
22 presentations from TNG stating how they can be  
23 toxic at that level.

24 MR. MACGREGOR: I'm sure we all  
25 look forward to that.

1 MS. FREED: Thank you.

2 MR. MACGREGOR: I don't have  
3 any further questions. I don't know about the  
4 rest of the Taseko party.

5 CHAIRPERSON ROSS: Thank you  
6 very much, Mr. Jones, Mr. MacGregor. I think it's  
7 the Panel.

8 QUESTIONS BY MR. KUPFER:

9 MR. KUPFER: Since you've done  
10 this on other occasions, that is the question I  
11 was requesting to ask, why cadmium? So and I'm  
12 sorry, I didn't quite understand the full exchange  
13 that took place there. Would you please reiterate  
14 why you chose cadmium? Did you try anything else  
15 or are you charged to do anything else? But first  
16 of all, will you please repeat that again.

17 MS. FREED: Yes, of course.  
18 Thank you. I did start out the modelling exercise  
19 looking at the TSF for water qualities and it  
20 struck me that 2,000 milligrams per litre sulphate  
21 seemed high. So I'll look at sulphate. It's not  
22 conservative in the sense of solutransport. It  
23 doesn't attenuate or anything. And so after I had  
24 done that presentation for my client, the TNG, I  
25 was asked -- I mean, I didn't want to model every,

1 single parameter. I'm not working for the mining  
2 company. I'm working for the First Nations here.  
3 So I thought I'd find an example, see if works.  
4 And after I looked at sulphate, there were  
5 exceedances, but in any case the comment back to  
6 me was, Well -- from some of the ecologists --  
7 well, we're not as concerned about sulphate.  
8 Maybe it is still of concern, I don't want to put  
9 words in anybody's mouth. But they wanted me to  
10 chose a metal that might be more toxic to rainbow  
11 trout. I didn't necessarily consult with them  
12 which would be best but I had to pick one to  
13 follow through.

14 MR. KUPFER: You said two  
15 ecologists -- that was the word you were using --  
16 you consulted they had a more ecological concern  
17 and cadmium fit that better?

18 MS. FREED: Yeah, but it was  
19 more of a harm for the fish than the sulphate.  
20 Exactly.

21 QUESTIONS BY MR. SMYTH:

22 MR. SMYTH: Thank you for your  
23 presentation. A lot of work. You listed a number  
24 of other COC's that would be of concern. Can you  
25 comment on any of those, which ones you might rate

1 in order?

2 MS. FREED: I would like to say  
3 that I appreciated the comment from Environment  
4 Canada on this topic, and as I was looking through  
5 the comments and also when I was doing my review,  
6 I thought that selenium stood out especially from  
7 the Biotech proposal because that treatment level  
8 barely changed the water quality and it wouldn't,  
9 I don't think, help meet the water quality  
10 guideline in Fish Lake.

11 But I'm going to defer to the  
12 presentation by Don MacDonald tomorrow because  
13 it's more within his specialty than in my own, if  
14 that's okay with you.

15 MR. SMYTH: In your work one  
16 other mining projects, adequate liners -- what  
17 would you consider an adequate liner for this  
18 project?

19 MS. FREED: I happened to work  
20 on the (INAUDIBLE) and in that case there was  
21 engineered liner proposed and it was accepted  
22 after the EA process. And I know it's a smaller  
23 scale mine and for this low grade ore -- there's  
24 an underground mine -- for this low grade ore  
25 deposit it's not necessarily standard; however, I



1 don't see how in my professional judgment this  
2 project can proceed without some sort of  
3 restriction on the TSF seepage problem.

4 MR. SMYTH: And are you  
5 thinking liners on the embankments or on the  
6 foundation or both?

7 MS. FREED: I think he said the  
8 Tsilhoquot'in project it was the liner on the  
9 foundation.

10 MR. SMYTH: I'm talking about  
11 this project.

12 MS. FREED: In this project,  
13 I'm not being asked by the mining company to come  
14 up with mitigation measures, and I don't think my  
15 client would necessarily like me to try to solve  
16 the problem. So it's not necessarily my job  
17 there.

18 MR. SMYTH: All right. You  
19 posed the question why the seepage collection  
20 ponds would have different values of cadmium in it  
21 and the company didn't respond. I had the same  
22 question, you know, if you're reporting different  
23 numbers of cadmium in two ponds downstream at the  
24 same TSF, I'm wondering -- maybe you don't have to  
25 comment now but maybe later -- why you are

1 reporting different numbers there.

2 MR. JONES: We'll take that as  
3 an undertaking. We don't have it right now.

4 QUESTIONS BY CHAIRPERSON ROSS:

5 CHAIRPERSON ROSS: Thank you,  
6 Mr. Jones.

7 In your model for cadmium, I  
8 think I got it off a slide, but I'm not sure --  
9 what's the baseline? What is the cadmium  
10 concentration of Fish Lake today?

11 MS. FREED: Well, the baseline  
12 characterization was not necessarily done all that  
13 adequately because as far as I understood it, the  
14 detection limit was set far too high and so it was  
15 always getting detection limit and then they  
16 reduced the metal detection limit I think in 2006.  
17 I'm just really paraphrasing what I recall from  
18 the Knight Piesold water quality report. And so  
19 the modeller there took the approach of using .025  
20 microgram per litre cadmium as the baseline --  
21 that's what I used as well -- and that was --  
22 because that was the highest value that was ever  
23 measured on site, not necessarily Fish Lake. And  
24 because that I think reflected half the detection  
25 limit used in the past. That was the best I think

1           they could do.

2                           CHAIRPERSON ROSS:  That's good.  
3           I was just interested in what you used.  That's  
4           fine.  You said .028 micrograms per litre hardness  
5           dependence was the B.C. guideline.  Earlier on, I  
6           asked about water quality guidelines and was told  
7           that at some time in -- if this mine proceeds --  
8           at some time in the future, the government of  
9           British Columbia would prescribe an -- I hesitate  
10          to use the word guideline, but I'll do it any  
11          way -- a guideline for cadmium for this particular  
12          site.  For other mines that have gone ahead, the  
13          .029 micrograms per litre commonly used?

14                          MS. FREED:  In my opinion, I'd  
15          like to answer the question a little more fully  
16          than just a yes or no.  First of all, I wouldn't  
17          necessarily agree we come up with these  
18          site-specific water quality objectives for every  
19          parameter.  For example, in the case of -- I  
20          picked on Tsilhqot'in Chief last time -- but in  
21          the receiving environment we had exceedances of  
22          the water quality guidelines because of baseline  
23          conditions.

24                          So in my experience, the most  
25          common reason we develop site-specific water

1 quality objectives in the province of British  
2 Columbia is so we can deal with that instance  
3 where baseline is higher than the water quality  
4 guideline.

5 So what I do when I assess  
6 impact for water quality predictions is look at  
7 what is higher; is base line higher or is the  
8 water quality guideline higher? If baseline is  
9 higher, then that would be a need for  
10 site-specific water quality objective.

11 Now, in many mines we have  
12 mineralization affecting water quality, and so --

13 CHAIRPERSON ROSS: Sorry, I  
14 missed that. We have?

15 MS. FREED: We have the case  
16 that the baseline water quality exceeds because  
17 it's in mineralized areas. It's very common.  
18 However, in this project I haven't seen any  
19 evidence of that. I've just seen fairly soft,  
20 very good water quality. So I don't see a real  
21 basis for that type of site-specific water quality  
22 objective.

23 Now, there are cases, some  
24 mines where you might get a higher --

25 CHAIRPERSON ROSS: Sorry, if

1           there is no exceedance in the baseline, then what  
2           would the government of B.C. use for a water  
3           quality --

4                           MS. FREED: This is what I'm  
5           saying. Typically they use the water quality  
6           guideline method.

7                           CHAIRPERSON ROSS: And the  
8           water quality guideline is .028 micrograms per  
9           litre for cadmium.

10                          MS. FREED: For this hardness  
11           level, yes.

12                          CHAIRPERSON ROSS: For that  
13           hardness level?

14                          MS. FREED: Yes.

15                          CHAIRPERSON ROSS: That's what  
16           I was getting at. Thank you.

17                          I don't have time for that  
18           question and it was a little peripheral. So let  
19           me move on to water balance concerns. I'm not a  
20           mine planner, mine engineer but I would have  
21           thought that if I had a tailings pond that I  
22           needed to keep full so I would protect my PAG  
23           material and it was getting a little low, since  
24           I've got a pump there that's pumping in  
25           perpetuity, I'd crank it up a little bit.

1           Wouldn't that be a simple mitigative measure to  
2           deal with that concern? The pumping from ground  
3           water that's coming up, couldn't I do that?

4                       MS. FREED: Well, I guess first  
5           of all, I don't think that it's my job to  
6           necessarily come up with the mitigation, but since  
7           you're asking me I guess I have to think that  
8           through. I have seen an example of the Red Dog  
9           Mine in Alaska where I saw tailings high and dry  
10          exposed. And so I think it can happen. But it's  
11          just not possible with the hydrologic range of  
12          water conditions that you are able to allow at  
13          least certain times of the year much water to  
14          accumulate because you might not have enough  
15          space. This is a different issue, mind you.

16                       In terms of the recirculation,  
17          I'd have to look it into it. It wasn't my  
18          objective to see if I can solve the problem. So I  
19          think it's possible you can solve that problem  
20          through recirculation. However, you need that  
21          water to maintain the fish and inlet streams for  
22          spawning. So you have to have a balance there.

23                       CHAIRPERSON ROSS: What about  
24          the pump back wells. Could they be ratcheted up?

25                       MS. FREED: I think the pump

1 back wells at closure do not go back to the  
2 tailings pond. I think they go around to the pit  
3 lake and they bypass the Fish Lake system, because  
4 at closure the plan is to discharge water from the  
5 clean TSF pond into Fish Lake. I don't think  
6 you'd want to put that fairly nasty water up into  
7 the TSF pond, but that would be a Taseko decision.

8 CHAIRPERSON ROSS: Thank you so  
9 much. We have no further questions for you. So  
10 we can move on to your colleague.

11 PRESENTATION BY JAMES KUIPERS:

12 MR. KUIPERS: Thank you, Mr.  
13 Chairman, members of the Panel, members of the  
14 audience. My name is James Kuipers. I'm a  
15 consulting engineer, the principle consulting  
16 engineer for Kuipers and Associates based in  
17 Montana. I very much appreciate the opportunity  
18 to talk with you today about this project.

19 CHAIRPERSON ROSS: Mr. Kuipers,  
20 just because I managed to mangle the pronunciation  
21 of your name earlier, could you spell it for the  
22 court reporter.

23 MR. KUIPERS: Absolutely. It's  
24 K-U-I-P-E-R-S, and no problem there. That happens  
25 regularly.

1                   Let me start by just giving you  
2                   a bit of information on my background that might  
3                   help you appreciate the perspective I'm coming at  
4                   this from. I actually grew up in a mining family.  
5                   My grandfather had me working underground with him  
6                   when I was 12 years old. When I was 16, he  
7                   basically had me as a driller, hucker and blaster.  
8                   I had other ideas for my education, but he decided  
9                   that we needed a mining engineer in the family, so  
10                  quite bluntly I became a mining engineer. I  
11                  graduated from Montana School of Mines with  
12                  specifically a degree in mineral process  
13                  engineering. Also have spent quite a bit of my  
14                  time working the mining as well as mineral  
15                  processing and metallurgy sites.

16                  If you step back to 1983 when I  
17                  entered the mining industry as a professional, the  
18                  industry really didn't have environmental  
19                  engineers yet. We were just beginning to take on  
20                  the discipline of environmental aspects of various  
21                  sites, and it was typically left to those of us  
22                  with the analytical chemistry sampling and other  
23                  backgrounds, in my particular case that of mineral  
24                  processing engineer, to address environmental  
25                  facets.



1                   During my career with the  
2                   industry, I moved from basically a metallurgical  
3                   position to that of mill superintendant,  
4                   eventually project manger, and then as a senior  
5                   technical person working for a corporation  
6                   Angle-American, which is one of the world's  
7                   largest mining corporations. I worked for  
8                   Angle-American for seven years. And then I also  
9                   eventually went to work for Denver Mineral  
10                  Engineers, a fairly large consulting and equipment  
11                  firm, as their manager of process engineering from  
12                  1992 to 1995. I think it's very pointed to note  
13                  that this was the era in which mine water  
14                  treatment really began to be looked at as a very  
15                  significant science. Essentially began to realize  
16                  in that era that mines were going to pollute and  
17                  we were going to need to effect treatment, both in  
18                  terms of source controls and actual pumping and  
19                  active treatment at many different mine sites.

20                  In 1996 I made a conscious  
21                  decision -- actually 1995 -- to take a year off  
22                  from the industry and decide whether or not this  
23                  was the type of activities I wanted to spend my  
24                  endeavours on. When I came back after a year off,  
25                  I was approached by a number of different folks to

1 see if I might have an interest in supporting the  
2 environmental community on mining issues. And I  
3 chose at that point, quite honestly what I thought  
4 would be a one-time job on a very controversial  
5 mine in Montana to work for the environmental  
6 groups in the state and consider trying to address  
7 the issues they were raising. That was 17 years  
8 ago. I can tell you that that wasn't just a  
9 one-time job. From 1996 to about 2001, I  
10 primarily worked for environmental groups in the  
11 US.

12 In 2001 I began to transition a  
13 lot of that work to State, Tribal and federal  
14 government work and since 2006 --

15 CHAIRPERSON ROSS: We're soon  
16 going to get to New Prosperity Mine?

17 MR. KUIPERS: Yes. Since 2006  
18 my primary work has been for government, and in  
19 that work for government presently, for example,  
20 the US/EPA, I'm reviewing all the different  
21 environmental impact statements that are produced  
22 in the US under the National Environmental Policy  
23 Act.

24 I've also been recently  
25 contracted to rewrite the United States EPA's acid

1 mine drainage prediction technical report dealing  
2 with the type of issues that you're discussing  
3 here.

4 Also I work for the Selkirk  
5 First Nation in the Yukon as well as Little Salmon  
6 (Native word) working on the, for the Selkirk  
7 Nation, the Minto Mine, which is an existing mine,  
8 and this will all come back to relevancy to New  
9 Prosperity in a minute.

10 In 2006, I was the author of a  
11 major report that came out. And really it's the  
12 only report of it's kind where we compared the  
13 predicted water quality and environmental impact  
14 statements with the actual water quality. And a  
15 very important thing we do as scientists is  
16 comparative studies. As we all know, there's all  
17 kinds of talk today about the predictions for the  
18 mine site. What's important to recognize is  
19 predictions and reality are oftentimes two very  
20 different things.

21 The 2006 study -- we actually  
22 reviewed over a hundred different environmental  
23 impact statements -- we found 25 of them that had  
24 adequate data that would allow us to look at the  
25 predicted versus actual water quality. It's very

1 important to know that in essentially all those  
2 cases where we had abundant water and a high  
3 contaminant leaching potential, and I would  
4 characterize this site as having both those  
5 characteristics, very near adjacent water to the  
6 sources and the sources themselves having  
7 significant contaminant leaching potential.

8 Essentially in all cases, the  
9 predictions underestimated the actual impacts.  
10 And the impact in almost every case resulted in  
11 significant exceedances of those predicted water  
12 quality outcomes. Now, when you look at what the  
13 major cause and effect of those inaccuracies was  
14 or were, it's very important to note there were 3  
15 different primary factors.

16 The first was adequate  
17 geochemical characterization. So in terms of  
18 assessing the contaminant leaching potential --  
19 and you heard our witnesses talking about that  
20 previously -- it's very important that you  
21 estimate that conservatively and that you  
22 recognize that that contaminant leaching potential  
23 is what drives these various water quality issues.

24 So a very adequate, I'd say  
25 very robust geochemical characterization program

1 is an absolute necessity if you wish to have  
2 accurate predictions.

3 The second aspect is hydro  
4 geological characterization, the way the water  
5 flows between the pathways and the receptors  
6 determining what kind of flow rates you're looking  
7 at, what the availability of water is, various  
8 things like that.

9 A site like this where a  
10 tremendous amount of mitigation depends on the  
11 ability to manage water, and I will suggest to you  
12 it can be managed at least from a technical  
13 perspective, but it requires that you understand  
14 the water. That you know how it flows; where it  
15 flows. When we talk about capture, it's not just  
16 a simple thing of putting a well in the ground,  
17 but you actually have to have the ability to find  
18 where that water is, where it's flowing's through  
19 various flow paths and other things. And one of  
20 the things we have learned the hard way is there's  
21 preferential flow at mine sites; and while we  
22 might think it might be dispersed homogenous flow,  
23 and essentially it's being modelled as that, in  
24 fact, it's the preferential flow paths that result  
25 in a lot more water moving a lot more quickly

1 which are most important to identify.

2 What you also have to realize  
3 is that it's this characterization of the  
4 geochemistry and the hydro geology that leads to  
5 the third factor, and that's the proposed  
6 mitigation.

7 It's really that combination or  
8 that entire per diem, if you will, of adequate  
9 characterization that allows you to ensure your  
10 mitigation is adequate. And I would suggest  
11 mitigation adequacy is not just in terms of the  
12 physical reclamation and closure plan, but also  
13 the financial resources to back up that plan and  
14 carry it out in perpetuity if necessarily.

15 When I look at the New  
16 Prosperity Mine in particular and the  
17 characterization deficiencies that have been  
18 identified by my colleagues today and previously  
19 as well as will be identified tomorrow, I really  
20 see the characterization deficiencies at this  
21 particular project as representing a critical key  
22 flaw in the project proposal.

23 What that means is because  
24 we've underestimated the risk by not really  
25 vetting out the characterization, in turn, we've

1           underestimated the required mitigation. And I  
2           think you've heard that discussed how it may that  
3           we're pumping 400 litres per minute, but there's  
4           other discussion it may be 4,000 litres a minute.  
5           That's a big difference when it comes to actually  
6           managing a mine site, as I'll explain further.

7                         A couple of keys things that I  
8           want to address, and I'm very respectful of your  
9           time so I'm not going to read off of my report,  
10          but rather get to what I think are some of the  
11          more succinct issues that I've heard discussed  
12          here.

13                        The first is in terms of the  
14          precedent of this mine site. When we talk about  
15          reclamation and closure plans, mitigation plans at  
16          various mine sites -- and I might just for now  
17          stick with North America, the US and Canada as an  
18          example. While there are a couple of other sites  
19          I'm aware of, proposed sites, that might have the  
20          degree of water management, treatment and other  
21          various mitigations required, this site is unique  
22          in that it would require one of the most onerous  
23          water management aspects that I've seen.

24                        Now, I don't disagree with the  
25          Proponent that we certainly as engineers, as

1 miners, we know how to pump water and yes if we  
2 need another pump, it's not that difficult to put  
3 it in. But there's two things: You have to be  
4 there to do it and you have to have the money to  
5 do it. And in this particular mine's case, what's  
6 very important to realize is we're not talking  
7 about in 50 years or a hundred years, we're  
8 talking for a thousand years or more. In my  
9 opinion, active mitigation at this site will be  
10 required to meet water quality standards. And I  
11 think it's very important to note that this is not  
12 an usual result for a major mine of this type.

13 Recently the Mine Environmental  
14 Neutral Drainage folks in Canada produced a water  
15 treatment report, and it's quite telling that we  
16 have over a hundred mine sites in North America  
17 alone that are actively treating water and quite  
18 probably will be for some time to come.

19 Another aspect I want to  
20 discuss is the water treatment proposal. I'm a  
21 water treatment engineer. I design water  
22 treatment plants, still to this day work very  
23 closely with a number of people on it. I'm also  
24 very familiar with Biotech and the work they've  
25 done previously and are doing today. And there's



1 a couple of key aspects that I think we need to  
2 look at.

3 One is simply that the history  
4 of application of water treatment systems to mine  
5 sites. The Minto Mine in the Yukon is a very good  
6 example. That mine was permitted approximately 7  
7 years ago, has been operating since then, and it  
8 too had a proposed Biotech water treatment system  
9 that when the mine was permitted, it was proposed  
10 that that treatment system would be both entirely  
11 adequate to treat water, and also would be able to  
12 treat water to the baseline water quality  
13 standards at that site.

14 Well, two things have happened.  
15 Number one, the treatment system that was  
16 originally installed, originally projected for the  
17 mine site was inadequate. It did not include  
18 treatment for nitrate and selenium and didn't  
19 necessarily treat adequately for the copper and  
20 other things it was intended to.

21 The second part of it, though,  
22 is as we now look at the treatment system and what  
23 we need to go forward, it's very clear that rather  
24 than being able to treat to meet standards, the  
25 proposal at Minto is to change the standards and

1 to allow much higher discharges into the receiving  
2 environment.

3 I have a very hard time seeing  
4 how treatment can be reliable when it becomes a  
5 very common place thing once the water quality is  
6 determined to be less than what was originally  
7 projected to then rather than propose additional  
8 treatment, they actually propose changing the  
9 standards. And I think that is something we could  
10 almost anticipate happening at this site.

11 The other thing is that we have  
12 parts of the Biotech proposal that you might  
13 notice were labelled "proprietary." Now, some of  
14 parts of the proposal are labeled proprietary,  
15 such as the ultrafiltration, nano filtration step  
16 up front. I'll just be quite blunt and say that  
17 that particular application and approach has been  
18 used numerous times at other mine sites. I'm not  
19 sure why they have it labelled proprietary, but it  
20 always raises questions when that happens.

21 But I'm particularly concerned  
22 about their labelling of the selenium circuit  
23 proprietary. In my report, I actually cite a  
24 study by CH John Hill, conducted for the mining  
25 industry recently in 2010, and they

1 specifically -- the study is for the treatment of  
2 selenium -- and they specifically recognize that  
3 the treatment of selenium is extremely  
4 problematic, both technically and from an economic  
5 stand point. We simply -- and I deal with  
6 selenium at numerous mine sites. Nearly all the  
7 phosphate mines in the U.S. are now superfund  
8 sites dealing with selenium. It was mentioned  
9 how -- by Environment Canada -- how we're seeing  
10 more and more selenium at mine sites. Selenium is  
11 a contaminant concern at over 50 percent of the  
12 mine sites that I'm familiar with and it's  
13 becoming more and more a major contaminative  
14 concern. As a process engineer, I can tell you  
15 right now we have no proven viable technologies  
16 for the treatment of selenium, and if Biotech has  
17 a proprietary technology then they should come  
18 out. They should be using it. It should be quite  
19 popular out there treating these technologies. I  
20 don't see it and personally I have a lot of  
21 skepticism as to both the technical and economic  
22 viability of what is being proposed. Again, if  
23 they truly have something patented, let's come out  
24 with the facts of it instead of hiding behind  
25 proprietary.

1                   The next thing I would mention  
2                   is the adaptive management plan. Now I consider  
3                   reclamation closure planning to require 3  
4                   different steps. The first and actually in some  
5                   cases the most important step is failure modes  
6                   effects analysis. As an engineer it's failure  
7                   modes effect analysis that allowed all of us to  
8                   fly safely here, and I expect to be able to fly  
9                   safely home. The airline industry has made a real  
10                  quality process of doing failure modes effect  
11                  analysis and the key is when they recognize  
12                  something can fail, they back it up; they provide  
13                  redundancies. And so it's not just simply a  
14                  matter of if it fails, we'll rise and fix it. No,  
15                  They've actually recognized that failures, in  
16                  order to keep the plane in the air need to have  
17                  redundancies that already exist.

18                 Now, what we keep hearing in  
19                 the case of this company is we'll come in and add  
20                 that additional measure or we can go get it in  
21                 five weeks. I'll have to come back to that.

22                 But when you look at real  
23                 planning, what you do is you do a very strict  
24                 failure modes effect analysis and determine what  
25                 are the likely failures or high consequence

1 failures. You design your adaptive management  
2 plan around recognition of the those failures.  
3 The adaptive management plan that the company has  
4 put in front of you essentially says little or no  
5 likelihood of any failure. Well, bluntly they're  
6 not ready for the plane to crash and when it  
7 crashes, I think their plane might very well hit  
8 the ground. And the ideal mine-planning scenario  
9 would in fact have those redundancies installed.

10 The question was asked, what  
11 about the tailings facility; what would you do  
12 differently? I would put in a composite liner  
13 system that actually provided redundancies in  
14 terms of a primary liner and then a secondary leak  
15 detection and then the secondary liner beneath it.  
16 It won't result in zero discharge. Liners still  
17 leak. But the idea of a two-layer redundant liner  
18 is the type of thing I would expect to see in a  
19 well thought out mitigation plan.

20 Ideally what we would have  
21 seen, for example, in the failure mode effect  
22 analysis conducted by the company is they would  
23 hire an independent group of professionals with a  
24 high degree of experience to assess the mine site  
25 without bias. Essentially, what you have in front

1 of you is something that is highly biased, it's  
2 basically the mine says their going to succeed.  
3 I'm sure in their opinion they will and they will  
4 have no major problems. But a very good example  
5 of what I would include for failure modes  
6 analysis, and I think it's a very important  
7 scenario for you to consider, is that of early  
8 closure. Now, the reality is mining companies go  
9 bankrupt and they go bankrupt regularly. Mining  
10 is the only industry that I'm aware of where there  
11 are financial security requirements such as you  
12 would see discussed for this project. And the  
13 reason for that is essentially because we  
14 recognize the likelihood of the mines going  
15 bankrupt. It's part of the precautionary  
16 principle that you employ here in Canada and we  
17 employ elsewhere. During my career, 3 different  
18 companies I was employed by went bankrupt. Since  
19 I've been working basically on the other side of  
20 the fence, I've been involved in bankruptcy of  
21 Pegasus Gold, resulted in 13 different mines being  
22 subject to different bankruptcy proceedings in the  
23 U.S. primarily. I worked with the Asarco  
24 bankruptcy, and they say the big folks can't go  
25 bankrupt. Well, Asarco went bankrupt. I think

1 the US EPA got maybe a hundred million out of 2  
2 billion that they estimated they needed. I've  
3 dealt with a number of recent bankruptcies.

4 And so one of the things we  
5 predicate mine planning on is that potential for  
6 them to go bankrupt. If the company were to go  
7 bankrupt mid-stream, and again I don't wish this  
8 on the company, it's not something I wish upon  
9 anybody but it's reality, the commodities prices  
10 go up and down. If they were to go bankrupt at  
11 such a time as the ore stockpile was in place, as  
12 the low grade stockpile had yet to be milled  
13 because that's going to be milled at the end  
14 economics provided -- if that were left in place  
15 the tailings facility, for example, would not be  
16 fully built out, the pad would not be placed.  
17 You'd have a mine site that the plan required  
18 perfect execution and halfway through that  
19 execution, suddenly it's entirely possible for the  
20 mine to disappear, the mine operators to  
21 disappear.

22 At that point, you would be  
23 entirely dependent upon the financial security and  
24 the ability of the government to carry out the  
25 various aspect that have been explained.

1           Certainly the government can run a mine site if  
2           they have to, but their not the mining company and  
3           it's not their business to generally do that, and  
4           I think the success of them doing so would be  
5           questionable.

6                               The real concern I have,  
7           though, is even if that did happen that the money  
8           would essentially run out. As you look at the  
9           plan, number one it's very optimistic so the  
10          ability to actually have the monies in place to  
11          buy the additional pump and to put the additional  
12          people at work to potentially do water treatment,  
13          it doesn't appear to be there. Even if they had  
14          estimated it properly, and that might mean an  
15          order of magnitude more effort than what's been  
16          imagined; order of magnitude more money than  
17          what's been imagined. Let's say they have allowed  
18          for that. You still have the issue of the  
19          financial security only lasting for a given amount  
20          of time. Financial security is based upon  
21          typically in British Columbia, my understanding is  
22          a 3 percent debt discount rate. So a 3 percent  
23          difference between inflation and what you're  
24          collecting in the bank. So you place a trust fund  
25          in the bank for the benefit of the government in



1 the event the company goes bankrupt. But if your  
2 inflation rate goes up and you don't get a return,  
3 that fund could be gone in as little as 30 years,  
4 might last 70 years. It's only intended to  
5 typically last 100 years. And even if it's an in  
6 perpetuity account that might go further, it's  
7 still subject to that issue of discount rate.

8 So my point is, without the  
9 plan and without the funding to assure what the  
10 company's proposing, you can't be certain that  
11 what they predicted would happen even if one were  
12 to accept their underestimation, in my opinion, of  
13 the various aspects here.

14 Just a couple of other things.  
15 There was a question about responding to an  
16 exceedance and I found this very interesting from  
17 the Panel. I've been involved in a number of  
18 different mine sites. For example, we're bankrupt,  
19 we're the government that was operating them. I  
20 also work at a large number superfund sites and  
21 the suggestion was made by the company that  
22 ideally they would see the trend of water quality  
23 changing, it might take four years and they have  
24 four years to kind of respond and adapt to that  
25 change. But the question was posed, Well, what if

1           it was much more quick? And I can tell you that  
2           in my experience, it typically is something that  
3           when you start to see water quality effects in the  
4           environment, they oftentimes do move relatively  
5           quickly.

6                               Well, the suggestion was made  
7           they get a treatment plant on site in five weeks.  
8           Number one, I would tell you that I just can't  
9           believe anybody would make that suggestion. There  
10          are no off-the-shelf, ready-to-go water treatment  
11          plants built just for Taseko sitting there not  
12          being used. The additional thing is, you know,  
13          maybe if it was a 400 litre per minute type  
14          application. I've actually supplied on very short  
15          notice reverse osmosis systems that are about 400  
16          litres per minute. We're talking potentially  
17          needing 4,000 or 8,000 litres per minute. That's  
18          not a five week off-the-shelf application.

19                              In fact, I just have gone  
20          through an exercise with Chevron Mining  
21          Corporation on the Questa Mine in New Mexico where  
22          we discovered that they had a very significance  
23          discharge issue from tailings impoundment and it  
24          was causing water quality exceedances. And the  
25          result that we came back with just in a meeting

1           this last week with the company is it will take  
2           two years from now for them to pilot, design,  
3           build, and ultimately operate a water treatment  
4           plant of sufficient capacity and sufficient  
5           sophistication. And I pose to you that that's the  
6           case here. And then they need a one year  
7           shake-down period before they expect to meet water  
8           quality standards.

9                                So maybe in a very, again,  
10          ideal circumstance they can get something there in  
11          five weeks. I have my doubts about that. I can  
12          tell you in the more likely circumstances of  
13          something larger, more sophisticated and other  
14          things, it could take them 3 years during which  
15          time there could be exceedances of water quality  
16          standards while they're getting their mitigation  
17          in place. And in fact it's -- I'm not saying we  
18          can't mitigate it, but I am saying it's not  
19          something you do instantaneously and particularly  
20          if your plan did not contemplate it happening. A  
21          better plan might be for them to propose to have  
22          the water treatment in place and if they don't  
23          meet it great, rather than suggest we'll be able  
24          to provide a miracle at the last minute.

25                                And I really think in the

1 interests of time, that's -- I'll conclude my  
2 presentation.

3 CHAIRPERSON ROSS: Thank you  
4 very much, Mr. Kuipers.

5 Government of Canada? Any  
6 questions for Mr. Kuipers? I'm not seeing  
7 anything.

8 Any other First Nations?  
9 Interested parties? Not seeing any.

10 Any interested party  
11 organizations? Not seeing any.

12 Any interested party  
13 individuals? I see Mr. Gustafson going over  
14 because he knows he's next on the list.

15 Mr. McManus?

16 QUESTIONS BY MR. MCMANUS:

17 MR. MCMANUS: Thank you, Mr.  
18 Kuipers.

19 John McManus, I'm a mining  
20 engineer too, by the way. I was taking a lot of  
21 notes and I have questions in no particular order  
22 other than as they came up. So I will try to work  
23 my way through them.

24 One the things you mentioned  
25 was in the 2006 report that compared predicted to

1 actual exceedances that there were 100  
2 environmental impact statements to be looked at  
3 where the 25 percent of those exceeded the  
4 predicted levels.

5 MR. KUIPERS: No, I'm sorry.  
6 Let me clarify. We looked at over a hundred  
7 different environmental impact statements. We had  
8 25 in which we were able to obtain the data  
9 necessary to conduct a case study where we  
10 actually had predicted versus actual data.

11 MR. MCMANUS: Thank you. Can  
12 you tell me what time frame those predictions were  
13 made in?

14 MR. KUIPERS: Yes. Those  
15 predictions were made -- the range and time is  
16 anywhere from mines that have been permitted  
17 beginning in 1979 to mines have that been  
18 permitted through the period of about 2004. The  
19 Pogo Mine in Alaska would have been the most  
20 current mine.

21 MR. MCMANUS: What percentage  
22 of those 25 exceeded their predictions?

23 MR. KUIPERS: In the case of  
24 those where there was close proximity to water  
25 quality -- excuse me, close proximity to water

1 resources and high contaminate leaching potential,  
2 I believe essentially 87 percent or better.

3 MR. MCMANUS: Exceeded?

4 MR. KUIPERS: Yes, resulted in  
5 exceedances.

6 MR. MCMANUS: You also  
7 mentioned that knowledge of environmental aspects  
8 has evolved quite a bit since the 1990's.

9 MR. KUIPERS: I don't know that  
10 I mentioned that, but I wouldn't disagree with  
11 that statement.

12 MR. MCMANUS: Yeah. You did  
13 say that, and I agree with you. So some of these  
14 25 obviously were -- the predictions were made  
15 with a much lower level of ability to predict than  
16 current?

17 MR. KUIPERS: They were made  
18 with different approaches, and, yes. The  
19 different state of the science, yes. It's  
20 important to know because I think I understand  
21 where you're going. We actually did a comparative  
22 study to take a look at the difference between  
23 mines permitted early on if you will, say, for  
24 example, I believe between the period 1979 to 1990  
25 and then we looked at 1990 to about 95 and 95

1 forward. What we essentially saw, though, were  
2 the same issues in terms of underestimation  
3 throughout the different periods. While the  
4 techniques have improved, the utilization of that  
5 information in terms of having it tell us we need  
6 to take more samples, better samples, do the  
7 proper analysis in fact has not been recognized by  
8 industry and practice. So while in concept one  
9 would expect that the ability to make more  
10 accurate predictions has improved, industry would  
11 need to take that information and adequately use  
12 it. And I'll just simply state that where you  
13 have very large mining companies with internal  
14 policies and other things, we have seen the  
15 substantive improvement in their practices, but it  
16 hasn't been in general with the mining industry  
17 and I would take a look at this project in  
18 particular and say at least in my opinion it does  
19 not represent the state of the art that would be  
20 preferred in terms of a much more robust approach.

21 MR. MCMANUS: Thank you. We've  
22 discussed that in other areas so I'll leave it  
23 alone.

24 You also said that one  
25 precedent on this site -- and I don't know why

1           it's precedent -- but in order to run a management  
2           of the system, you have to be there to do it and  
3           you have to have the money to do it. Have you  
4           encountered a lot of other sites with a proposal  
5           like this where the collection and the pumping  
6           system is established at the beginning of the  
7           property? So those costs of establishing the  
8           treatment is already there, other than the  
9           treatment plant itself?

10                           MR. KUIPERS: I would note that  
11           I have noticed that same aspect in nearly all  
12           proposals have you noted I've actually asked the  
13           question that in a bankruptcy situation, that  
14           equipment would be owned by the bankruptcy court  
15           and the trustee, and in fact would not be  
16           available to the company -- or to the regulators  
17           to operate without them essentially purchasing  
18           that equipment or otherwise coming to agreement  
19           with the trustee.

20                           MR. MCMANUS: That depends on  
21           how the bankruptcy occurs and the security that  
22           the government has and we're going to get  
23           clarification from British Columbia on that. They  
24           do not in a bankruptcy have access to that  
25           security. That is primarily for -- in the case of



1 default, the protection of the environment. Just  
2 a clarification. Sorry. That's not a question.  
3 I'm sorry. Stop.

4 You used Minto as an example of  
5 a Biotech treatment that did not work 7 years ago.  
6 Do you have a ratio of success to failure on  
7 treatment plants?

8 MR. KUIPERS: No, I do not.

9 MR. MCMANUS: Okay. Now, I'm  
10 not sure on the timing of this and I'm putting  
11 these questions together so I'm not trying to trip  
12 up, but Biotech told us they provided within 5  
13 weeks a plant to Minto which was able to treat  
14 8,000 cubic litres per day; were you aware of  
15 that?

16 MR. KUIPERS: I'm not aware of  
17 8,000 litres per day. I'm familiar they ended up  
18 supplying a reverse osmosis system that  
19 essentially is creating a large amount of brine  
20 that hasn't been addressed in terms of how that  
21 will be dealt with.

22 MR. MCMANUS: We have a source  
23 that says that's correct.

24 Do you know when selenium  
25 became a contaminant of concern and when people

1 started working on treatment systems?

2 MR. KUIPERS: My first  
3 knowledge of people working on treatment for  
4 selenium, I actually worked on it going back to  
5 the 1980's.

6 MR. MCMANUS: Okay. You  
7 mentioned the case of a bankruptcy of a mine of  
8 this sort. Can you tell me what typically happens  
9 over the long term if the mining that built the  
10 mine goes bankrupt, what becomes of the property?

11 MR. KUIPERS: What becomes of  
12 the property?

13 MR. MCMANUS: Yeah. What  
14 becomes of the project, usually?

15 MR. KUIPERS: Let me give you  
16 the most pertinent example I can and that was when  
17 Pegasus Gold went bankrupt, and I was actually at  
18 the Zortman Landusky mine site the day that  
19 happened. And I should say the original  
20 bankruptcy was a Chapter 11 reorganization, or 7  
21 reorganization and they went into a Chapter 11  
22 foreclosure later. Initially, when the company  
23 first went bankrupt, the funding was thought to be  
24 something that could be negotiated. But literally  
25 as Pegasus went bankrupt, they called their

1 employees, they said, You're out of work. You're  
2 done. We're closing the gates.

3 Fortunately, the regulators,  
4 Montana Department of Environmental Quality and  
5 the U.S. Bureau of Land Management were at the  
6 mine site. And when they were told that  
7 essentially operations were closing, they were  
8 shutting off the pump and the employees were  
9 abandoning the site at the management's direction,  
10 the state and federal agencies hired the operators  
11 as they left the gate. They actually made a phone  
12 call and said, Can we do this? And received  
13 permission from their superiors to do so. They  
14 hired several operators at the site and we  
15 fortunately managed not to spill any water and to  
16 continue the operations at that site. That was  
17 extremely fortunate. But the reality is that when  
18 this happens the company no longer exists,  
19 essentially right then, and it becomes the  
20 responsibility of the regulators and they have to  
21 have both the know how and the financial ability  
22 to run these operations.

23 MR. MCMANUS: I think we'll  
24 hear from the Ministry of Mines on how that works  
25 in British Columbia. But I've been working in

1           this province a long time and seen companies go  
2           bankrupt, and I can't think of any instances of a  
3           premature closure of the mine where eventually  
4           another company does not come a long and purchase  
5           it for whatever cents on the dollar and brought  
6           back in to production recently.

7                         MR. KUIPERS:  If the Panel  
8           would care to here, I can give you a dozen cases  
9           where, in fact, there has been no company come  
10          back in.  Just stick with the Pegasus example.  At  
11          Zortman Landusky here was still well over a  
12          million ounces of gold in the ground.  There was a  
13          very modest attempt by a contractor to come in and  
14          make some money.  After six months, it was  
15          realized he was actually loosing money.  That was  
16          1998.  It's 2013, 15 years later, nobody has  
17          bought that mine to open it up to mine the  
18          remaining 1 million ounces.

19                        MR. MCMANUS:  That was in B.C.,  
20          sir --

21                        MR. KUIPERS:  No, this was in  
22          the U.S., in Montana.  For example, I haven't  
23          heard of anybody proposing to re-open Farrow any  
24          time recently or Giant Bay any time recently.

25                        MR. MCMANUS:  Actually Farrow

1           went through a re-opening. They closed  
2           prematurely and then they were bought by Kira and  
3           re-opened.

4                       MR. KUIPERS: And would you  
5           care to explain what the environmental liabilities  
6           on that site are today.  
7           -- (speaker overlap).

8                       MR. MCMANUS: That's a historic  
9           site. I know there was problems. I'm aware of  
10          that. This is 2013.

11                      MR. KUIPERS: The problems  
12          still exist in 2013.

13                      CHAIRPERSON ROSS: Could we  
14          move along with the questioning, please.

15                      MR. MCMANUS: Yes. Sorry.

16                      CHAIRPERSON ROSS: The comment  
17          was not directed to you Mr. McManus.

18                      MR. MCMANUS: Thank you very  
19          much. That was my last question. Thank you.

20                      CHAIRPERSON ROSS: Anything  
21          else from Taseko?

22                      The Panel?

23          QUESTIONS BY MR. KUPFER:

24                      MR. KUPFER: From your  
25          experience, and you have some Canadian experience

1 I noticed as you been through, but not extensive  
2 in British Columbia.

3 MR. KUIPERS: Well, actually I  
4 should mention that I worked in British Columbia  
5 back beginning back in the 1990's and in fact I  
6 was part of a company called Costech Research out  
7 of north Vancouver for a couple of years. So I've  
8 actually worked at Red Lake. So I have experience  
9 from an operations and management stand point  
10 prior to 1996 in Canada and then a fair amount of  
11 experience off and on with mines in Canada since  
12 then.

13 MR. KUPFER: Thank you for that  
14 addition.

15 Do you think could a company or  
16 a community protect themselves by having treatment  
17 options prepared ahead of time?

18 MR. KUIPERS: That certainly  
19 would be an improvement and one way to ensure that  
20 if it becomes necessary, it's available. And I  
21 might mention that I think an adaptive management  
22 plan that starts with active treatment and then  
23 allows for, if you will, not use using that  
24 treatment depending upon the monitoring results  
25 would be a more preferred precautionary approach

1 to this type of situation.

2 MR. KUPFER: Thank you.

3 CHAIRPERSON ROSS: I believe  
4 the Panel has no further questions. And so I  
5 thank TNG for it's presentations. Thank you very  
6 much.

7 The next presenter we have is  
8 David Williams, Friends of Nemiah Valley.

9 Mr. Williams, go right ahead.

10 PRESENTATION BY DAVID WILLIAMS:

11 MR. WILLIAMS: Thank you Mr.  
12 Chairman. I'm not a water quality expert. This  
13 is a more terrestrial and general statement I'm  
14 making today. (Native being spoken). Good  
15 afternoon.

16 First, I would like to  
17 acknowledge we are the guests of the Secwepemc  
18 First Nations people here. This is unseeded  
19 territory, and they, like the Tsilhoqot'in, are  
20 the first occupiers of the land they have lived in  
21 since time before memory.

22 As I understand it a basic  
23 tenent of English/Canadian law is that those who  
24 first occupy vacant lands are the owners of those  
25 lands until such time as they give up ownership.

1 Thank you, Dr. Ross, Dr.  
2 Kupfer, and Dr. Smith for agreeing to listen to  
3 me. You are a distinguished Panel, and I feel  
4 honoured to appear before you.

5 My name is David Williams, with  
6 an "S" no relation so far as we know to (Native  
7 being spoken) Roger. Though I speak for Friends  
8 of the Nemiah Valley, perhaps I should tell you a  
9 little about who I am.

10 I'm a born and bred British  
11 Columbian and through my grandmother have routes  
12 here going back many hundred's of generations. My  
13 English pioneer land surveyor grandfather married  
14 his (Native word) wife and began a family in  
15 Quesnel in the 1890's.

16 My father was born there in  
17 1898. Mt. Sidney Williams and Atasko Lake is  
18 named after my grandfather, Mt. Agnes at Quesnel  
19 after my grandmother.

20 Sidney Williams entered the  
21 Nemiah Valley in the early 1980's as inspector of  
22 surveys. As a result of that survey, he gave the  
23 great guardian mountain of the Xenigwet'in, it's  
24 English name of Tatlo. He took my father there in  
25 1913 on horseback, and in 1967 my father took me



1 to the Nemiah Valley. I now have a home there in  
2 the Brittany Triangle 26 kilometres off any road.  
3 I walked many Tsilhoqot'in trails, camped out in  
4 the triangle and other parts of Tsilhoqot'in in  
5 all kinds of conditions for over 60 years.

6 I'm able to speak with passion  
7 and great depth of feeling but also personal  
8 knowledge of the land and people of the Nemiah  
9 Valley. The people are very special. They are my  
10 dear friends. As caretakers of the land, they  
11 recognize and take seriously their duty to protect  
12 it from undue harm. I stand with them in that  
13 great task. I know the (Native being spoken)  
14 fairly well. I've walked that land and conducted  
15 bear hazard assessments and assisted with grizzly  
16 bear research projects throughout that area. I  
17 have degrees in anthropology and library science.  
18 And I have also been a seaman, small rancher,  
19 worked in engineering and land surveying and been  
20 a hunter, a carpenter and built my own log houses.  
21 I've done economic development analysis. My more  
22 highly-qualified sons says I just couldn't hold a  
23 job.

24 As president of FONV, I'm a  
25 volunteer as our entire board. I have no

1 particular expertise that I'm offering here, just  
2 my experience. And many years of experience, but  
3 I speak for FONV and present this as an  
4 introduction to our expert speakers. They are the  
5 experts here on our behalf, not myself. I just  
6 want to present a few highlights and tell you who  
7 our organization is and what it does.

8 Friends of the Nemiah Valley  
9 (FONV) is a not-for-profit society under the  
10 Societies Act of B.C. We were formed in December  
11 2000 as a result of the imminent threat of  
12 industrial scale logging in the Brittany Triangle  
13 (Tachelach'ed) placed between the waters,  
14 traditional hunting lands of the Tsilhoqot'in  
15 people of Xeni. Subsequently, we entered into a  
16 formal protocol agreement with the Xeni Gwet'in  
17 First Nations Government whereby we would agree to  
18 work together to protect the environment of the  
19 Nemiah Valley and nearby areas, and the chosen way  
20 of life of the Xeni Gwet'in people.

21 FONV programs include ongoing  
22 support for the Roger William case for Rights and  
23 Title, creation of the Elegesí Qayus Wild Horse  
24 Preserve, original wildlife research, cultural  
25 support for Xeni Gwet'in. We were instrumental in

1           introducing the First Voices program to the Nemiah  
2           Valley Naghatanequed School, funding of a Wild  
3           Horse Ranger (now in it's 12th year), cultural and  
4           social support for Xenigwet'in in the form of  
5           grants to the Nemiah Valley rodeo, to the Brittany  
6           Elders and Youth Gatherings and the Youth Wagon  
7           Ride. We provide logistical, guiding and some  
8           financial support to graduate students undertaking  
9           field research in Tsilhoqot'in territories. We  
10          have also supported the wild horse DNA study, a  
11          conservation analysis by the Craighead Institute  
12          of the Chilcotin dryland grizzly bear -- and I  
13          have a copy of that for you -- and the wolf diet  
14          did study. Every two years we conduct a helicount  
15          of the wild horses in the Brittany Triangle.

16                           Our role during the present  
17          hearings is to present science-based information  
18          to the Panel that will aid you in your independent  
19          assessment of the Project, primarily but not  
20          exclusively with regard to terrestrial and  
21          sociocultural effects. Consequently you will have  
22          received submissions from the following range of  
23          experts:

24                           You've already heard a  
25          presentation by Dr. Mark Pinkoski on the impact of

1 New Prosperity on aboriginal rights and title and  
2 the duty to consult and we hope it was useful.

3 The McKinnon report by  
4 Geotechnical engineer Don MacKinnon of West Coast  
5 Consulting. A review of increased road costs to  
6 the province that would be necessitated by New  
7 Prosperity.

8 The Lerner Report; Implications  
9 of New Prosperity Mine for the Xeni Gwet'in Vision  
10 For Sustainable Development by Economist John  
11 Lerner of Ecolibrio.

12 And tomorrow morning, you'll  
13 hear a technical report by Wayne core, RPBio, on  
14 grizzly bear feeding habitat values, movement  
15 corridors and grizzly bear numbers using the  
16 Teztan Biny MDA an effort of the Taseko study area  
17 combined with a detailed review of the New  
18 Prosperity 2011 EIS on grizzly bears and several  
19 other species of concern.

20 Karen Hurley, PhD, will be  
21 evaluating the sections of the EIS on cumulative  
22 impacts, watershed values and sustainability from  
23 an integrated, ecosystem, long-term perspective.

24 And finally a presentation by  
25 Dr. Jonaki Bhattacharyya on the cultural

1 relationships of Xeni Gwet'in and other  
2 Tsilhoqot'in people to the environments in the  
3 project area and the significance of the  
4 socio-ecological system that would be impacted by  
5 the proposed mine.

6 Our position. Our position on  
7 New Prosperity is informed by our experience with  
8 the Prosperity Mine Hearings in 2010 and  
9 subsequent Panel Report of July 2010 by our  
10 painstaking combined review of EIS for New  
11 Prosperity Mine and by a perusal of the many  
12 submissions to date from individuals and  
13 organizations, whether technical or not, and by  
14 the conclusions of our own experts.

15 While I've listened with great  
16 interest to the geology and hydro geology  
17 presentations and the technical reports to date  
18 and am able to understand to some extent, I have  
19 no qualification that would allow me to comment on  
20 them personally. However the precautionary  
21 principle was seen to be indicated given the many  
22 uncertainties that are evident.

23 Our position is also informed  
24 by our deep friendship with the Tsilhoqot'in  
25 people of Xeni Gwet'in and other Tsilhoqot'in

1 communities and our formal commitments to protect  
2 the environment and their chosen way of life.

3 We've concluded that we have no  
4 option but to oppose New Prosperity Mine for the  
5 following reasons:

6 The first is environmental  
7 impacts on the land, water, fish and terrestrial  
8 species, especially the blue listed Chilcotin  
9 grizzly bear. These would be so significant that  
10 they could not be mitigated and would add to a  
11 cumulative degradation of whole ecosystems within  
12 the region.

13 The consequences of the power  
14 line and road upgrading and other infrastructure  
15 developments required for the proposed mine would  
16 almost certainly result in a cascade effect of  
17 further mine development to the south, large areas  
18 of which are already under mining claims.  
19 Presently protected areas such as Ts'il(ph) Park,  
20 Big Creek Park, South Chilcotin Mountain Park,  
21 Nunsti Park and Upper Lillooet Park would become  
22 what biologists term islands of extinction for the  
23 large carnivores, the very apex species which  
24 indicate the relative ecological health of natural  
25 ecosystems.

1                   There's the potential for long  
2                   term contamination of the entire Fraser River  
3                   system, and therefore danger to the priceless and  
4                   already stressed salmon stocks of one of the  
5                   province's greatest resources.

6                   The potential for protection of  
7                   the Chilcotin Arc, southern British Columbia's  
8                   last great wilderness comparable in size to the  
9                   ecological values to the Greater Yellowstone or  
10                  the Great Bear Rainforest would be utterly  
11                  compromised. And I have a report here for you by  
12                  Dr. Carlos Carroll, December 2005, Priorities For  
13                  Carnivore Conservation in the Cariboo Tsilhoqot'in  
14                  Region.

15                  The mitigation efforts outlined  
16                  by the proponent appeared to us to be so complex  
17                  as to be highly prone to failure. Given the  
18                  lifespan of the structures and response to  
19                  contamination, chemicals and physical structures  
20                  involved, the containment, active maintenance of  
21                  mitigation structures and response to  
22                  contamination will surely outlast the lifespan of  
23                  the corporation so at some point, the people of  
24                  British Columbia will be responsible for  
25                  maintenance.

1                   On environmental grounds, we  
2                   suggest this application should be denied. I'm  
3                   not writing your report for you, but I just have  
4                   some suggestions. The socio-cultural impacts,  
5                   these are of extreme concern to us. Like all  
6                   First Nations populations in Canada, the people of  
7                   the Nemiah Valley have been heavily impacted by a  
8                   colonial era that is only now becoming recognized  
9                   by the Settler Society as having imposed a form of  
10                  cultural genocide.

11                  The legacy of residential  
12                  school abuse, of the loss of language, the loss of  
13                  a land base through the reserve system, of  
14                  holocaust diseases like small pox, and some  
15                  commentators believe deliberately spread by land  
16                  speculators, and I refer to a recent book by Mr.  
17                  Tom Swanky and subsequent social breakdown are  
18                  realities that the people are just now learning to  
19                  overcome.

20                  What has been a painful process  
21                  toward a reinvigorated culture and way of life  
22                  would, we believe, be utterly compromised by the  
23                  imposition of this mine.

24                  The destruction of Little Fish  
25                  Lake, (Native being spoken), of Fish Creek and



1 probably, ultimately, of Fish Lake, Teztan Biny,  
2 of the whole Nabas area, would be felt as a  
3 sacrilege and would be personally deeply wounding  
4 to every member of the community.

5 Today this community is bravely  
6 following a complex path that will allow it to be  
7 a part of the greater society on it's own terms  
8 and in a fashion that will sustain it socially,  
9 culturally and economically for seven generations  
10 and more. Within the communities, this mine is  
11 seen to represent a form of unwelcome, imposed  
12 development, neo-colonial in nature, that will  
13 close that path.

14 For this reason we oppose New  
15 Prosperity Mine.

16 The economic impacts. First  
17 Nations communities like Xeni Gwet'in and  
18 Yunesit'in have their own economic vision and you  
19 will hear more of this from John Lerner. In  
20 Nemiah, this vision includes protection for  
21 natural ecosystems while employing the best of  
22 modern planning and technology. They seek to be  
23 self-reliant, resilient, and sustainable for the  
24 long term, from ecosystem-based planning to forest  
25 management to the development of an independent

1 solar and wind power grid with underground lines,  
2 to a declared Aboriginal Wilderness Preserve and  
3 Elegesí Qayus Wild Horse Preserve, the Xeni  
4 Gwet'in are well ahead of the curve. They have  
5 pinned their future hopes for sustainable economic  
6 development upon minimal impact cultural and  
7 wilderness tourism initiatives that require  
8 maintenance of the land, waters and air in as  
9 natural a state as possible.

10 The Xeni Gwet'in have  
11 commissioned climate change studies and are  
12 planning for a future with reduced water flows and  
13 weather extremes. In this way too they are ahead  
14 of many communities in the Western hemisphere.

15 The several non First Nations  
16 lodges and bed and breakfast operators in the  
17 areas whose establishments can be valued in the  
18 many millions of dollars, share the shame  
19 ecological values and, as far as we can tell,  
20 without exception, the non First Nations residents  
21 of the Valley share the environmental values of  
22 the Xeni Gwet'in friends and neighbours and are  
23 strongly opposed to this mine.

24 A mine such as New Prosperity  
25 would compromise the Xeni Gwet'in vision for

1           sustainable development. We feel it is culturally  
2           inappropriate to a people whose first commitment  
3           is to sustainability for the long term, rather  
4           than wealth accumulation for the moment.

5                                 In 2010 we at FONV commissioned  
6           a report by Dr. Marvin Shaeffer of the Simon  
7           Fraser. Dr. Shaeffer concluded that there would  
8           be no net benefit provided by the Prosperity mine.  
9           He concluded:

10  
11                                 "Contrary to statements in  
12                                 The EIS suggesting this  
13                                 statement would generate  
14                                 billions of dollars on  
15                                 net benefits, the project  
16                                 would appear, based on the  
17                                 available information, to  
18                                 generate significant net  
19                                 cost for British Columbia's  
20                                 and Canadians as a whole."

21  
22                                 Mining Watch has now  
23           commissioned an updated report from Dr. Shaeffer.  
24           The conclusions are un-changed for New Prosperity  
25           Mine.

1                   Despite some increased net  
2                   benefits derived from employment and business  
3                   activity and some increased government revenues,  
4                   these are rather dramatically offset by the  
5                   increased cost of power that B.C. Hydro has to  
6                   pay. That suggest a significantly greater loss  
7                   for B.C. Hydro than previously estimated, closer  
8                   to \$50 million per year, as compared to the  
9                   estimated \$35 million in the report for the  
10                  original project. Some of you may ask why your  
11                  hydro bill is so high.

12                   Dr. Shaeffer concludes the  
13                  project would appear to generate significant net  
14                  costs. And I have a question, the power line to  
15                  be installed, I understand, by B.C. Hydro and that  
16                  would be at public cost. I stand to be corrected  
17                  on that but it's a question I think should be  
18                  raised, and it's to be de-commissioned at the end  
19                  of the mine life.

20                   The road upgrade review  
21                  prepared by geotechnical engineer Don MacKinnon  
22                  for this review fills a gap that was not addressed  
23                  in the previous assessment of Prosperity Mine. It  
24                  lays bear an additional subsidy to Taseko by the  
25                  taxpayer's of British Columbia. It concludes the

1 required upgrades prior to the introduction of  
2 mine traffic would cost \$26.2 million, and extra  
3 annual maintenance costs due to mine traffic over  
4 the proposed 20 year life of the mine are \$0.8  
5 millin annually, an additional \$16 million. Total  
6 overall cost would be \$42.2 million over 20 years.  
7 Should the mine life be extended to 30 or more  
8 years, and we believe this is highly likely, given  
9 that half the ore will still be in the ground  
10 should the mining company still exist then costs  
11 continue to rise and may include the cost of  
12 replacing the aging Tsilhoqot'in River bridge at  
13 Hanceville.

14 These extra costs to the public  
15 purse only add to the conclusion drawn by Dr.  
16 Shaeffer there would be no net public benefit to  
17 the project.

18 The principle argument put  
19 forward by local New Prosperity proponents is that  
20 it will provide much needed jobs in the Cariboo  
21 Chilcotin and that it will revitalize local  
22 businesses.

23 Dr. Shaeffer points out that  
24 many of those filling the jobs that the mine  
25 provides will have to come from elsewhere. In the

1 face of greatly increased demand for skilled  
2 workers throughout Western Canada due to  
3 increasing resource development and the imminent  
4 retirement of many older workers, the reality is  
5 that we are facing considerable skilled labour  
6 shortage. Unemployment is due to decline. There  
7 is already significant new mine development  
8 underway in the Cariboo Chilcotin alone and  
9 Taseko's own Gibraltar is undergoing considerable  
10 expansion.

11 Here is a quote from the  
12 Victoria Times columnist last Thursday:

13  
14 "B.C. will soon need over  
15 75,000 skilled workers for  
16 the LNG industry and another  
17 60,000 to help with the  
18 construction of plants and  
19 pipe lines according to  
20 The B.C. Natural Gas  
21 Workforce Strategy Centre."

22  
23 Another argument for  
24 development of this low grade copper and gold mine  
25 is that society needs these metals. Copper is a

1           valuable industrial metal with many uses. While  
2           there is indication demand is beginning to  
3           outstrip supply worldwide, at least 80 percent of  
4           all copper ever produced is still available or in  
5           use do to recycling.

6                           Julian Simon of the Cadiff(ph)  
7           Institute has argued that new finds will continue  
8           and the very notion of peak anything is flawed.  
9           There is support for this view in the recent  
10          explosion of shale gas reserves which is  
11          threatening to create a worldwide glut of energy.

12                           For this reasons and others,  
13          such as increasingly sophisticated extraction  
14          methods from existing mines and more recycling the  
15          need for more low grade and environmentally  
16          problematic mines like New Prosperity is moot.

17                           Unlike copper, gold is  
18          primarily used an as repository of wealth; at  
19          least 41 percent ends up as jewellery, primarily  
20          in Asia, and 32 percent in gold bars and coins.  
21          Central banks hold another 11 percent, thus 84  
22          percent of all gold produced does not go to  
23          provide the industrial elements we deem essential  
24          to contemporary society. There is no real  
25          shortage. It is only the presumed shortage that

1 creates the value of the metal.

2 While New Prosperity may create  
3 wealth for some shareholders and the managers of  
4 Taseko Mines Ltd., when methodologically correct  
5 accounting procedures are used and utilized in a  
6 holistic approach it looks like a very bad deal  
7 for most of the rest of us, and especially for the  
8 people of the Nemiah Valley.

9 We fear the mine itself may not  
10 even be economically viable in the long term. We  
11 are told this is a low quality deposit and there  
12 are some less-than-ideal financing methods.  
13 Rapidly fluctuating pricing of golden ensures that  
14 there is no such thing as long term certainty.

15 We are left with a nightmare  
16 vision of a bankrupt operation and the rest of us  
17 left with an abandoned mine that will require  
18 reclamation and water quality monitoring for  
19 hundreds, if not thousands of years.

20 The economic arguments alone  
21 seem to indicate that that society should step  
22 back from allowing such a venture.

23 Legal impacts. Chief Roger  
24 William on behalf of the Tsilhoqot'in Nation has  
25 taken the case for rights and title to the courts



1 of the land.

2 In November 2007, Mr. Justice  
3 David Vickers of the Supreme Court of British  
4 Columbia, after months of testimony, found that in  
5 the Xení Gwet'in caretaker area the Tsilhoqot'in  
6 had proven rights to a vast area that includes  
7 Nabas, Fish Lake, Fish Creek and Little Fish Lake,  
8 the area under contention here.

9 He also found that title had  
10 been proven to approximately half of the total  
11 area claimed.

12 CHAIRPERSON ROSS: Mr.  
13 Williams, it's getting late and we've heard  
14 several of these. So if you can find some way of  
15 --

16 MR. WILLIAMS: I can speed it  
17 up.

18 All Canada is watching this  
19 landmark case for it's significance for First  
20 Nations wherever they are without treaties and  
21 wherever development is planned on unseeded First  
22 Nations territories.

23 Should this mine be approved,  
24 it is the stated intention of the Tsilhoqot'in to  
25 return to the courts to prevent it's construction

1 and protect their rights. We have every  
2 expectation that they would be successful. In any  
3 event, a prolonged and costly court case will tie  
4 any development up for years. At the very least  
5 approval of New Prosperity Mine before the final  
6 Supreme Court of Canada decision would, it seems  
7 to us, be premature.

8 I was going to talk about  
9 Taseko Mine but I don't think I need to, except to  
10 say we note that there is no trust, or very little  
11 trust, between the Tsilhoqot'in people and Taseko  
12 Mines Corporation and that is regrettable, but it  
13 happened through a chain of events I have followed  
14 with some interest and is delineated in Jane  
15 Wellburn's Masters Thesis in Anthropology a couple  
16 of years ago.

17 In conclusion, the Tsilhoqot'in  
18 people and many of us involved in these hearings  
19 question why we must go through this process  
20 again.

21 The previous proposal, as  
22 horrendous as we deemed it to be, was supposed to  
23 be less damaging than the present proposal, even  
24 according to Taseko's vice president of  
25 engineering, and yet, it was rejected, and we've

1 lot about that today.

2 This seems an imposition to us  
3 costing in time, money and human resource. And  
4 one must ask, when is a win not a win? The answer  
5 is as here when they change the goalposts.

6 Widely respected ex-Xeni  
7 Gwet'in councillor Marilyn Baptiste has said we  
8 are in a fight for our lives. Marilyn has rightly  
9 stated the case for the people of Xeni Gwet'in.

10 Ultimately there's a morale  
11 question here. What rights have we, relative  
12 newcomers to a land that we came to and found  
13 abundant in resources and already inhabited by a  
14 sophisticated people, to continue to take from  
15 them and from a land in a way that consistently  
16 degrades both their way of life and the land they  
17 need to survive.

18 One more paragraph.

19 I recently flew over much of  
20 British Columbia and Alberta. I looked for places  
21 untouched by industrial development and  
22 settlement. I could find virtually none. We have  
23 accomplished this transformation in a mere 150  
24 years. I wondered how the other species we share  
25 this land with, especially the great carnivores

1           like wolf and bears could continue to survive and  
2           how people who choose to live a life dependent on  
3           the land could continue to survive within some  
4           measure of their age-old ways as they choose. And  
5           I believe we have a test case here. How we  
6           resolve it goes to our character as a country, a  
7           country still reaching toward true nationhood.  
8           And can we continue to overcome the wrongs we've  
9           inflicted on the Indigenous people? Wrongs that  
10          have been an integral part of a global colonial  
11          movement of which we've been a part and that have  
12          led to catastrophic losses of species and  
13          cultures. Can we dispel that dark shadow? I  
14          think we can and I think you have the opportunity  
15          to take a first step in this new and better  
16          direction by listening carefully and hearing the  
17          Tsilhoqot'in people and those who stand beside  
18          them. I know you will, and I thank you for  
19          listening and I'll be happy to answer any  
20          questions.

21                           CHAIRPERSON ROSS: Thank you,  
22          Mr. Williams. Any questions from the Government  
23          of Canada? Seeing negative shaking of heads. Any  
24          questions from the First Nations interested  
25          parties? Any questions from interested party

1 organizations? Any questions from interested  
2 party individuals? Any questions from Taseko?

3 QUESTIONS BY MR. KUPFER:

4 MR. KUPFER: One quick  
5 question, where did you get your information on  
6 the transmission line? Can you identify that, by  
7 any chance, on that being constructed, how it's  
8 being constructed?

9 MR. WILLIAMS: I posed that as  
10 a question. I don't know whose constructing it.  
11 I assume because it's not mentioned in the EIS, as  
12 far as I know --

13 MR. KUPFER: Thank you. Taseko  
14 can comment on that. I just want to say thank you  
15 for your sharing your personal story and your  
16 questions.

17 CHAIRPERSON ROSS: Because it's  
18 getting late in the day I'll thank you for your  
19 presentation and we'll move on to our last  
20 presentation of the day.

21 Our next speaker is Brian Toth,  
22 Executive Director of the Upper Fraser Fisheries  
23 Conservation Alliance.

24 PRESENTATION BY BRIAN TOTH:

25 MR. TOTH: Thank you, Mr.

1 Chairman and Panel members and SEA staff and Panel  
2 observers. I'll be quick, as I understand  
3 probably I'm the last here.

4 My name is Brian Toth, Brian  
5 with an "I". Toth, T-O-T-H. I'm the executive  
6 director of the Upper Fraser Fisheries  
7 Conservation Alliance, which is a not-for-profit  
8 society that is provincially registered and  
9 geographically based in the Upper Fraser  
10 watershed.

11 So our area from which our  
12 membership is selected is the salmon grade portion  
13 of Upper Fraser, so encompassing the five major  
14 watersheds of the Upper Fraser watershed,  
15 approximately upstream of Clinton, Canoe Creek.

16 We have a finance board  
17 selected from those areas, First Nations in those  
18 areas, including groups from the Tsilhoqot'in  
19 National Government and the Northern Secwepemc.

20 Our mandate is to advance the  
21 fisheries and aquatic-related interests of those  
22 First Nation groups and, really, how we were  
23 initiated in 2005, is when we formally  
24 incorporated, is commonalities in both cultures  
25 and challenges related to fishery management and

1 issues and interest.

2 Our core funding is provided  
3 from Fisheries and Oceans Canada and our role in  
4 relation to that funding is to facilitate  
5 essentially the information exchange component of  
6 consultation.

7 So the DFO has a rather large  
8 obligation to First Nations around managing fish  
9 to meet their fisheries needs and we facilitate a  
10 portion of that consultation.

11 So our area of expertise, and  
12 we have approximately five technical people that  
13 work for the organization, including myself. We  
14 work to build capacity to engage in the  
15 consultation, which is a very technical process in  
16 understanding fisheries management and work to  
17 build co-management relationships, both amongst  
18 First Nations and with the Department of Fisheries  
19 and Oceans, and other management agencies.

20 Some of the key activities that  
21 we do in relation to the consultation function are  
22 coordinate and facilitate watershed level forums,  
23 so we do those approximately 8 times a year, and  
24 we participate in a multitude of fisheries  
25 management processes, both First Nation to First

1 Nation, which is tier 1, bilateral government to  
2 First Nations government, and multi-lateral, which  
3 stakeholders and governments.

4 Our expertise is in  
5 understanding anadromous fish management and  
6 particularity Fraser anadromous fish, anadromous  
7 being salmon and steelhead, the policy surrounding  
8 how they're managed and it's application and how  
9 it inter-relates with First Nations' interests.

10 So interpreting the  
11 implications of management across those interests  
12 and a good understanding of the fish docs and how  
13 they support those interests and use.

14 So the UFFCA has submitted two  
15 documents to the Panel, the first is a review of  
16 the stock status information for just the  
17 Tsilhoqot'in anadromous stocks and the second is  
18 looking at the relevance of that stock status  
19 information in relation to Tsilhoqot'in use of the  
20 resource and their interests in the salmon  
21 resource.

22 First a bit about background  
23 and the methodology on how we did this. A stock  
24 status -- I need to explain we didn't do a status  
25 assessment looking at a long term period of record



1 of stocks. So spawning escapement records. We  
2 looked at existing information where government  
3 agencies had already done a status assessment. So  
4 we used existing information where it existed and  
5 where it doesn't I will explain what we did.

6 In a sense stock status looks  
7 at the population health, so a trend or abundance  
8 and from that you can infer resilience,  
9 vulnerability and risk of extirpation.

10 DFO's salmon management  
11 framework has been continually evolving and most  
12 recently since 2005 the department has adopted  
13 what's called "the wild salmon policy". The wild  
14 salmon policy provides units of biodiversity  
15 through which the department will manage towards.  
16 The conservation unit is the concept, and I'll  
17 refer to what is written in the policy about that  
18 in a moment, and essentially it also provides the  
19 criteria and the thresholds through which you  
20 would assess that conservation unit to determine  
21 it's health.

22 Conservation unit is the unit  
23 of biodiversity that the department has chosen to  
24 manage salmon through and it's defined as a group  
25 of wild salmon if you lose it would unlikely

1 re-colonize within a certain length of time.

2 So salmon do stray and  
3 re-colonize, lost areas. What they focussed on is  
4 what wouldn't be re-colonized in an acceptable  
5 period of time if you lost it. So the focus is on  
6 management of biodiversity and the conservation  
7 unit is the chosen unit of biodiversity that they  
8 determined.

9 Again, straight from the wild  
10 salmon policy, diversity is important because it's  
11 an insurance. It's a bank if you are faced with  
12 changing climactic conditions etc., the greater  
13 degree of biodiversity that you have in the  
14 landscape in relation to wild salmon, the better  
15 that chances that they'll be able to adapt and  
16 exist. And there are great examples of that  
17 occurring now on the Fraser River watershed.

18 For sockeye the wild salmon  
19 policy CU's are defined and the reference points  
20 are defined and it allows you to complete a  
21 status, and that has been done.

22 The DFO has published two  
23 papers on that particular aspect of applying  
24 status through wild salmon policy for Fraser  
25 sockeye. In the absence of wild salmon policy,

1           there's the ability to default to COSEWIC, which  
2           is the Committee on the Status of Endangered  
3           Wildlife in Canada.

4                        So COSEWIC has done an  
5           evaluation of interior Fraser Coho of which  
6           Tsilhoqot'in Coho are a category of that CU they  
7           are endangered. Where stocks have not had their  
8           status formally assessed what we did was we looked  
9           at how DFO manages those stocks. So this is in  
10          the case of steelhead and Chinook.

11                       So if there haven't been wild  
12          salmon policy for COSEWIC assessed we strictly  
13          looked at how are they managed on an annual basis  
14          and inferred from that how it relates to the other  
15          stocks that have been assessed.

16                       Why did we do this? The  
17          purpose and intent is essentially understanding  
18          the status of those anadromous stocks within the  
19          Tsilhoquot'in gives you the ability to  
20          contextualize their existing viability and  
21          sustainability under the existing management  
22          framework, in further resilience to any additional  
23          negative effects and interpret the implication of  
24          any risk that may be identified in relation to  
25          this project.

1                   So this is a very brief summary  
2                   of what's in the written documents. In terms of  
3                   Tsilhoqot'in conservation units, there is one Coho  
4                   conservation unit, so the Coho that are present in  
5                   the Tsilhoqot'in watershed are a component of  
6                   what's known as the interior Fraser Coho  
7                   conservation unit. It's status was COSEWIC  
8                   assessed in May 2002 and designated as endangered.  
9                   It still remains endangered. DFO has managed to a  
10                  3 percent exploitation rate, with no directed  
11                  fisheries.

12                  So it's essentially being  
13                  managed to rebuild, which it has not been doing  
14                  successfully to a large extent and 3 percent  
15                  allows other fisheries that are vitally important  
16                  economically to the commercial fisheries for  
17                  (muffled) to occur.

18                  There are 2 Chinook  
19                  conservation units within the Middle and Upper  
20                  Fraser and are both referred to as 5-2, referring  
21                  to their life history, one spring, one summer.  
22                  Both those CU's are managed as conservation  
23                  concerns within DFO. It's a zoned approach must  
24                  like the wild salmon policy but it's of their own  
25                  making because the wild salmon policy criteria for

1           evaluating status hasn't caught up to Chinook just  
2           yet. They're in zone 1 and are at the lowest of  
3           their record in terms of escapement numbers. And  
4           there's one steelhead conservation unit within the  
5           Tsilhoqot'in, and the management objective for  
6           that stock is essentially to minimize the impact  
7           of all Canadian fisheries.

8                         There are three sockeye  
9           conservation units, so these are independent  
10          biodiversity units. There's two that return to  
11          the Chilko Lake, they differ in life history and  
12          there is one that returns to the Taseko system.  
13          The two in the Chilko that returned to Chilko  
14          Lake, one is presently un-assessable in terms of  
15          status because it's deemed data deficient. The  
16          large Chilko, which is called the Chilko summer CU  
17          is designated as healthy. It's trending red or  
18          bad.

19                         CHAIRPERSON ROSS: Mr. Toth,  
20          we're soon going to get to newspaper right?

21                         MR. TOTH: Yes, we are.

22                         Taseko is a small stock. It's  
23          been designated in the red zone meaning it's not  
24          healthy. It's designated provisional, meaning  
25          there are issues with the data related to the

1 spawning escapement monitoring.

2 It exceeds the thresholds  
3 identified through the wild salmon policy and the  
4 abundance indices have decreased from a peak  
5 period of 2,900 effected female spawners to 376  
6 effected female spawners. In 2012 it was 40  
7 effected female spawners.

8 So, summary conclusions. As I  
9 mentioned, the Chinook are not formally wild  
10 salmon policy assessed but are currently qualified  
11 as zone 1. Steelhead, again, not formally wild  
12 salmon policy assessed, but are managed as though  
13 they are in the red zone and are COSEWIC  
14 endangered.

15 So, overall, in terms of  
16 Chinook, Steelhead and Coho stats relative to  
17 potential project effects and risks, all of these  
18 stocks are at poor status; in fact, poorest in  
19 their period of record.

20 Diminished abundance and  
21 productivity. Adding any additional negative  
22 consequence to the productivity or survivability  
23 of these stocks is incongruent with DFO's existing  
24 management strategy and objectives for these  
25 stocks, the wild salmon policy and I would argue

1 also the precautionary principle. Any potential  
2 risk should be considered within that context and  
3 also the precautionary principle where we don't  
4 have data to properly assess the status of those  
5 stocks.

6 In terms of sockeye, as I  
7 mentioned the Chilko -- the one large stock  
8 returning to the Chilko Lake is actually  
9 designated as green right now, the other one is  
10 not assessable.

11 The Taseko stock is currently  
12 very poor in terms of status, or red zone, via  
13 wild salmon policy, provisional. It's an  
14 individual, designateable unit of biodiversity,  
15 not a population or a deem, as it's called in  
16 genetic terms.

17 Both the viability and  
18 resilience of the stock are at risk due to the  
19 existing management framework, so the framework  
20 through which DFO manages that stock which, at  
21 present, fails to recognize and adequately respond  
22 to it's status.

23 So Tsilhoqot'in sockeye and  
24 particularly Taseko sockeye relative to potential  
25 project effects and risk, any additional negative

1 influence on the Taseko sockeye stock's  
2 productivity and survivability would be  
3 incongruent with DFO's management strategy, the  
4 wild salmon policy and the precautionary principle  
5 and, generally, in terms of how it's been  
6 returning of recent, it would be very prudent.  
7 There's zero tolerance for additional negative  
8 effects.

9 Implications of risk should be  
10 considered, again, within the context of loss of  
11 independent biodiversity units.

12 We did two pieces of work, the  
13 second was looking at stock status relative to the  
14 Tsilhoqot'in nation interest. So understanding  
15 the status and health of the salmon resources that  
16 returned to the Tsilhoqot'in River is important to  
17 understanding how they're utilized within  
18 Tsilhoqot'in culture.

19 Findings. The Tsilhoqot'in S,  
20 or summer sockeye CU is supporting the bulk of the  
21 quantum of Tsilhoqot'in sockeye salmon needs.

22 I'll show you a map in a moment. They're  
23 essentially are reduced or no alternatives for  
24 fishing in the Fraser mainstem because a number of  
25 additional upstream sockeye CU's are also trending



1           towards red zones.

2                         So, essentially, if you're a  
3           First Nations attempting to practice your fishing  
4           right upstream of Hope, as it sits right now, you  
5           are essentially fishing Chilko in most years, and  
6           the stocks in the Thompson system to the right,  
7           some of them trending green and some are amber.  
8           It should be noted that they are largely cyclical.  
9           So that is the large dominant Adam stock, which  
10          only returns in large numbers once every four  
11          years.

12                         What that means in terms of  
13          Tsilhoqot'in sockeye is it's increasingly becoming  
14          important to the overall Fraser sockeye catch, all  
15          catches, commercial, First Nations and  
16          recreational. It means there's increasing  
17          pressure on the stock and it's fished in aggregate  
18          fisheries, so with other stock which is going to  
19          increase the risk to further declines of the  
20          Taseko sockeye stock, which co-migrates with it,  
21          and reduced abundance of fish running to the  
22          Tsilhoqot'in itself. These are figures of the  
23          proportion that the Chilko stock actually  
24          contributes to overall Fraser sockeye catch. Not  
25          just sockeye fisheries in the Fraser River but

1 every fishery that might catch a Fraser sockeye.

2 The trend on the right hand  
3 side of the graph is most interesting and when you  
4 remove the late, those cyclical Adams run sockeye  
5 out of it, in the lower right both those graphs  
6 it's noticeable from 2004 to 2010 what a much  
7 larger proportion the Chilko is actually becoming  
8 of all Fraser sockeye catch. And that's  
9 by-and-large because of it's health, but of the  
10 stocks it co-migrates with, that map with all the  
11 red dots declining at the same time it's staying  
12 relatively healthy.

13 In summary, any risk of  
14 potential downstream impacts on the Chilko River  
15 should be considered within the context of the  
16 importance of that Chilko sockeye conservation  
17 units and it's contribution to all Fraser sockeye  
18 fisheries.

19 Tsilhoqot'in Nation fisheries  
20 for Coho, Chinook and Steelhead are all presently  
21 constrained by the abundance. When there is  
22 status and health of these stocks, the fisheries  
23 each support unique cultural practices and  
24 therefore cultural practices are at risk and  
25 rights are compromised and at risk.

1                   Without any additional factors  
2                   that may impair the productivity of the  
3                   Tsilhoqot'in watershed salmon resource,  
4                   Tsilhoqot'in's interest in these stocks it at  
5                   considerable risk as it presently stands. That's  
6                   it. Thank you.

7                   CHAIRPERSON ROSS: Thank you.  
8                   Questions from the Government of Canada?  
9                   Questions from First Nations interested parties?  
10                  Question from interested party organizations?  
11                  Questions from interested party individual?  
12                  Taseko?

13                  MR. JONES: No questions.

14                  CHAIRPERSON ROSS: Panel.

15                  QUESTIONS FROM MR. KUPFER:

16                  MR. KUPFER: Would you clarify  
17                  for me, DFO is a member of the committee or just  
18                  the funder?

19                  MR. TOTH: They are one of our  
20                  funders, a core funder, and they participate in  
21                  our meetings, of course, because it is their  
22                  consultation forums that we facilitate. They are  
23                  not actually a board member or any kind of  
24                  designated authority or governing structure or  
25                  part of our governing structure, no.

1 MR. KUPFER: Your studies to  
2 date lead you to conclude that any risk would be  
3 detrimental to First Nations' culture and you're  
4 anticipating there might be a risk?

5 MR. TOTH: I have not looked at  
6 enough information about the mine to say for  
7 myself whether there is risk of effects or not. I  
8 understand listening today there is some obvious  
9 issues there.

10 All I'm saying is this is the  
11 status of the stocks and it should be considered  
12 within any potential effects or consideration of  
13 risk.

14 MR. KUPFER: Thank you.

15 CHAIRPERSON ROSS: For that  
16 very reason that we appreciate receiving your  
17 advice and your information.

18 QUESTIONS BY MR. SMYTH:

19 MR. SMYTH: B.C. has just gone  
20 through the most expensive and longest commission  
21 looking at salmon, the Cohen Commission, and I  
22 read the executive summary, I don't know if I can  
23 recall everything in it, there's so many items at  
24 play here, and what you're assuming is that there  
25 is going to be release or possible release of

1 metals from this mine into the Taseko River to  
2 have an impact?

3 MR. TOTH: No, I'm not assuming  
4 that. All's I'm saying is in the case of the  
5 Taseko the primary concern would be the stock of  
6 sockeye and it's status and what any negative  
7 effect that may occur that is identified via this  
8 process in the EIS, it's implications.

9 So essentially in the case of  
10 the Taseko you have a stock that's virtually -- it  
11 couldn't go any lower. Last year there was 40  
12 effected female spawners in that population. So  
13 if there's additional negative effects added  
14 through the project or risk it should be  
15 considered within the context of the loss of a  
16 designateable unit of biodiversity of Fraser  
17 sockeye.

18 MR. SMYTH: These females are  
19 probably being captured downstream?

20 MR. TOTH: That's part of the  
21 issue, yes.

22 CHAIRPERSON ROSS: Thank you  
23 very much, Mr. Toth. I think we'll move on now.  
24 At this point my understanding is Taseko needs,  
25 and I quote, "a minute".

1 MR. GUSTAFSON: I have good  
2 news for you. We've decided to defer our comment  
3 until our closing, until tomorrow.

4 CHAIRPERSON ROSS: Only down to  
5 five seconds now. Thank you very much Mr.  
6 Gustafson. In terms of my comments, again, as  
7 usual, we thank the many presenters for helpful  
8 information.

9 Mr. Nelson, you're looking like  
10 you need to say something?

11 MR. NELSON: I'm afraid so.  
12 I'm loathe to extend this any longer than it's  
13 already been today.

14 I may have missed the point --  
15 I understood we were meant to learn from Taseko by  
16 the end of the session today when we could expect  
17 responses to the questions posed to them by  
18 Environment Canada.

19 CHAIRPERSON ROSS: Thank you.  
20 I overlooked that. Any advice, Mr. Gustafson?

21 MR. GUSTAFSON: I was awaiting  
22 your invitation, Mr. Chairman. Taseko does  
23 confirm that it will be able to respond to all  
24 currently outstanding undertakings before the  
25 commencement of the community sessions and we'll

1 provide them as they're available but that would  
2 be the latest.

3 And one other piece of news  
4 that I think you will appreciate, and that's the  
5 company will proceed with the remodelling, or  
6 re-running the model with respect to the TSF  
7 seepage pond deficiencies. I think that's what it  
8 related to, and that work will be done not by the  
9 end of next week but as quickly as possible and  
10 we're just not sure exactly how long that will  
11 take. But it will certainly take a little longer  
12 than the other undertakings.

13 CHAIRPERSON ROSS: That's  
14 helpful. Thank you. And thank you, Mr. Nelson,  
15 for reminding me.

16 Again, thank you for all of the  
17 advice today. Tomorrow morning 9 o'clock, we will  
18 have the second day of this session with one  
19 exception and that is Mr. Core will talk to us  
20 about grizzly bears tomorrow because we simply  
21 could not work him in on any other day.

22 So I think I have forgotten  
23 what time tomorrow but he will be out of place.  
24 And lastly, closing ceremony.  
25 --- Closing ceremony.

1 --- All the foregoing non-English words, when  
2 spellings not provided, are represented  
3 phonetically.

4 --- Whereupon the hearing was adjourned, to  
5 resume at 9:00 a.m on Tuesday, July 30th,  
6 2013.

7 \*\*\*\*\*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



**C E R T I F I C A T I O N**

1  
2  
3 I, COURTNEY MIDDLETON, a certified Court Reporter  
4 in the Province of Ontario, hereby certify the  
5 foregoing pages to be an accurate transcription of  
6 my notes to the best of my skill and ability.

7  
8 Je, Courtney Middleton, un sténographe officiel  
9 dans la province de l'Ontario, certifie que les  
10 pages ci-hautes sont une transcription conforme de  
11 mes notes au meilleur de mes capacités.

12  
13  
14  
15 Courtney Middleton,

16  
17 Courtney Middleton, CSR, RPR  
18 Certified Court Reporter.

**C E R T I F I C A T I O N**

1  
2  
3 I, SANDRA BRERETON, a certified Court Reporter in  
4 the Province of Ontario, hereby certify the  
5 foregoing pages to be an accurate transcription of  
6 my notes to the best of my skill and ability.

7  
8 Je, Sandra Brereton, un sténographe officiel dans  
9 la province de l'Ontario, certifie que les pages  
10 ci-hautes sont une transcription conforme de mes  
11 notes au meilleur de mes capacités.

12  
13  
14 Sandra Brereton,

15  
16 Sandra Brereton, CSR, RPR  
17 Certified Court Reporter.